

## **Attachment 4**

---

Initial Study Report Meeting Transcript

March 29, 2016

**Susitna-Watana Hydroelectric Project  
(FERC No. 14241)**

**Initial Study Report Meetings  
March 29, 2016  
Transcripts**

**Alaska Energy Authority – Board Room  
813 West Northern Lights Blvd.  
Anchorage, AK 99503**

1

2

3

SUSITNA-WATANA HYDRO

4

Agenda and Schedule

5

Initial Study Report (ISR) Meetings

6

7

Waterbird Migration, Breeding, and

8

Habitat Use (Study 10.15)

9

Surveys of Eagles and Other Raptors (Study 10.14)

10

Landbird and Shorebird Migration, Breeding, and

11

Habitat Use (Study 10.16)

12

Moose Distribution, Abundance, Movements,

13

Productivity and Survival (Study 10.5)

14

Caribou Distribution, Abundance, Movements,

15

Productivity, and Survival (Study 10.6)

16

17

(See page 2, studies continued)

18

19

(AEA) Alaska Energy Authority

20

813 W Northern Lights Blvd

21

Anchorage, AK 99503

22

March 29, 2016

23

24

Reported by: Accu-Type Depositions, Inc. ;  
Sunny Morrison CSR #7575 and  
Sydney Hamilton CSR #3166

25



ATTENDEES

- 1
- 2 Julie Anderson, Denali Management Solutions
- 3 Mark Burch, Alaska Department of Fish and Game
- 4 Earl Becker, Alaska Department of Fish and Game
- 5 Kevin Colson, Alaska Department of Fish and Game
- 6 Brian Cooper (phone), ABR, Inc.
- 7 Douglass Cooper, United States Fish & Wildlife Service
- 8 Jennifer Curtis (phone), EPA
- 9 Wayne Dyok, H2O EcoPower
- 10 Kirby Gilbert, MWH Global
- 11 Jesse Hankins, Bureau of Land Management
- 12 Janet Kidd (phone), ABR, Inc.
- 13 Susan Ives, ABR, Inc.
- 14 Joe Klein, Alaska Department of Fish and Game
- 15 Erin Knoll, United States Fish & Wildlife Service
- 16 Jan Konigsburg (phone), Hydropower Reform Coalition
- 17 Brian Lawhead, ABR, Inc.
- 18 Heide Lingenfelter (phone), Ahtna, Inc.
- 19 Becky Long (phone), Susitna River Coalition
- 20 Todd Mabee (phone), ABR, Inc.
- 21 Rick Merizon, Alaska Department of Fish and Game
- 22 Lauren McClure (phone), Stillwater Sciences
- 23 Betsy McCracken, U.S. Fish and Wildlife Service
- 24 Betsy McGregor, Alaska Energy Authority
- 25 Ruth McHenry, Copper Country Alliance

1 Alan Mitchnick, Federal Energy Regulatory Commission  
2 Tim Obritschkewitsch, ABR, Inc.  
3 Doug Ott, Alaska Energy Authority  
4 Dirk Pedersen (phone), Stillwater Sciences  
5 Kathryn Peltier, McMillen Jacobs Associates  
6 Tyler Rychener, Federal Energy Regulatory Commission  
7 Terry Schick (phone), ABR, Inc.  
8 Charles Sensiba, Van Ness Feldman LLP  
9 Dan Smith, Alaska Energy Authority  
10 Karen Sughrue, Federal Energy Regulatory Commission  
11 Linda Swarman (phone), (Indiscernible affiliation)  
12 Cassie Thomas (phone), National Park Service  
13 Whitney Wolff (phone), Talkeetna Community Council  
14 Mike Wood (phone/in person), Susitna River Coalition  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 (On record)

2 8:30:01

3 INTRODUCTION

4 MR. GILBERT: My name is Kirby Gilbert.  
5 I'm with MWH, a contractor to AEA. And welcome to  
6 this meeting today for the ISR, particularly on  
7 wildlife and botanical studies.

8 Those on the phone, can you hear me?

9 UNIDENTIFIED SPEAKER: Yes.

10 MR. GILBERT: Okay. All right. Well,  
11 we'll start with some introductions, and we'll just  
12 go over the agenda briefly, and a few introductory  
13 slides, and then we'll try to get into it.

14 Why don't we start around the room here,  
15 and if everybody could state their name.

16 There is a transcriber today, so everybody  
17 please try to speak clearly. And people in the back  
18 of the room, if you would just speak loudly. And as  
19 we get into the meeting, if you can stand up. The  
20 microphones are all on the table, so it's going to be  
21 hard for people on the phone if you're just sitting  
22 back and it's kind of quiet.

23 So maybe we could just start around the  
24 room, maybe go this way.

25 (Participants in meeting room introduce

1 themselves.)

2 MR. GILBERT: Okay, great. That's the  
3 group we have in the room. And just to remind  
4 everybody that when you -- if -- for comments and  
5 things, just state your name again, so she can make  
6 sure she gets it, just to attribute who said what.

7 So those on the phone, could you all please  
8 introduce yourself.

9 (Participants attending telephonically introduce  
10 themselves.)

11 MR. GILBERT: Okay, great. Well, thank  
12 you. And those on the phone, be sure if you -- be  
13 sure -- it's good if you practice to mute your phone  
14 if there's background noise, and please don't put us  
15 on hold because we'll get music. And so if you have  
16 to leave the line, just call back in. We'd  
17 appreciate that. Because everybody will hear the  
18 music if you -- if you put us on hold.

19 So -- and again, we will try to speak up.  
20 So just let us know on the phone if you can't hear,  
21 which I'm sure will happen once in a while, but we'll  
22 try to make sure we're speaking clear and into the  
23 microphones.

24 Okay. We'll go ahead, and we've got the  
25 GoTo meeting up with the slides. We also in this



1 room have an agenda posted. Hopefully those of you  
2 on the phone have looked at the agenda. It's posted  
3 online. As well as the presentations. We have 20  
4 studies to go through today, so quite a few, quite a  
5 few presenters, and some of the presenters are on the  
6 phone also. So we just have to work -- work with  
7 everybody here to advance through this, but we want  
8 to try to use the time as best we can.

9 The agenda has it laid out in order. There  
10 is about I think nine before -- we have planned  
11 before lunch, and we may not end up following the  
12 agenda times exactly. If some studies go faster, then  
13 we'll keep things moving. But we'll try to stick to  
14 it as best we can.

15 Let's go through the first slides. They're  
16 just some introductory slides here to get everybody  
17 grounded. Some of you may have been at the meetings  
18 last week, and so we won't spend a lot of time, but I  
19 just wanted to present a little overview of what  
20 we're trying to accomplish.

21 This is part of the ISR, the Initial Study  
22 Report, meeting, and this is a -- is a check-in point  
23 really to look at progress on AEA's studies; 58 total  
24 studies the project commenced with, and this is  
25 basically the halfway point, although a lot of

1 you are well aware it has actually been kind of  
2 a long first half of the study's period.

3 The purpose of the meetings is to -- is to  
4 review the study results and discuss any  
5 modifications to the study plans and also any  
6 variances, and also it's a chance to ask questions  
7 and discuss the way the studies have proceeded, the  
8 results to date and -- and where the studies are  
9 going and the steps to complete the study.

10 And then this meeting is a check-in point,  
11 and I'll go over a couple of other points before  
12 it -- at the end of this, the goal of this is to get  
13 all the information in the record so FERC can make a  
14 determination at this point on the -- on the studies  
15 at this halfway point through the study period.

16 The initial study report is part of the  
17 integrated licensing process, and there are several  
18 parts to it that have been filed. Back in 2014 was  
19 the first installment of the initial study report,  
20 and AEA had filed at that time a Part A, B and C,  
21 which was a compilation on all 58 studies, of all the  
22 results of the first year of study, noting variances,  
23 where things varied from the original study plan, and  
24 modifications that would be -- for changes to the  
25 methods and study construct going forward. And that

1 was filed in June of 2014.

2 Additional technical memoranda were filed  
3 at the end of that year, case by case, on various  
4 studies. And then as you all know, some time lapsed,  
5 and late last year AEA was able to pick up and  
6 move -- move things ahead, and at that time AEA filed  
7 the fourth part of the ISR, which is what's called  
8 the Part D, and the intent of the Part D was to try  
9 to bring together all the pieces that had been --  
10 all -- each -- for each study, try to bring together  
11 what the study had accomplished, what all the  
12 variances and modifications were at that time, and  
13 what are the steps to complete the study. So AEA --  
14 the intent of the Part D was to try to be clear about  
15 where each study is at to date.

16 So those are pretty nice stand-alone  
17 documents. Hopefully they're useful as a road map  
18 for each study.

19 Now, in addition to the Part D, which is  
20 basically the road map, at the end of 2015-- end of  
21 last year, there were also several studies that had  
22 study completion reports or study implementation  
23 reports. So those go hand in hand, and those were  
24 all the results to date. And the study completion  
25 reports are for studies that have been deemed

1 completed, and we'll be discussing both of those  
2 today. We have some study completion reports and  
3 some study implementation reports to go over.

4 So that's the way this works  
5 for the ISR. We've got the meetings last week for  
6 aquatic and this week for wildlife botanical, and  
7 social sciences tomorrow. And at the end of April  
8 here, April 24th, AEA will file the meeting  
9 summaries, the summary of all -- all of these five  
10 meetings, and those meeting summaries will try to  
11 document all the discussions and any proposed  
12 modifications that are brought up or -- from  
13 the licensing participants or others, and then AEA  
14 will also file the all the presentations at that  
15 time.

16 And then on June 23rd, after people have  
17 had a chance to look at these, and there may be some  
18 other conversations that happen, but licensing  
19 participants can file comments on the ISR  
20 or the meeting and any disagreements about summaries  
21 or recommendations or modifications to the studies.

22 And then August 22nd is the date in which  
23 licensing participants can respond to those, any  
24 disagreements or any questions that come up from the  
25 June 23rd filings.

1                   And then finally this culminates with  
2           October 21st, with FERC issuing a study  
3           plan determination on this juncture for these -- all  
4           these studies, for the modifications going forward,  
5           any rulings on any new studies or any changes at all.

6                   So as I mentioned, there was the three  
7           study meetings last week: Fish aquatics, some of the  
8           geomorphology, groundwater, ice processes,  
9           vegetation, instream flow. And one of the botanical  
10          studies, the riparian vegetation study, you'll note  
11          was discussed, too; but otherwise we'll cover the  
12          botanical and wildlife today. And then tomorrow in  
13          the same room we'll be covering a variety of the  
14          social sciences, cultural resources, and a few of the  
15          engineering and geology soils studies.

16                  Okay. So this is the way we're  
17          going to try to run these and go through these today,  
18          we're going to -- we have short presentations for  
19          each of the studies, around five to ten minutes  
20          probably, and what we'll try to do is go over --  
21          provide slides and information just to go over where  
22          the study is at, the highlights of the -- a little  
23          bit about -- briefly remind people of the study  
24          objectives. A lot of people have hopefully seen a  
25          lot of each of the studies, about highlights of where

1 the study's at, the results. And importantly, plans  
2 to complete the study and any modifications that AEA  
3 and the study team has to go forward and the  
4 rationale for those modifications.

5 It is an open meeting to discuss  
6 information about results, modifications, variations.  
7 So this is a chance to have that discussion after the  
8 presentation by the study leads and to ask questions.

9 There also are a few studies that have  
10 decision points, and we've discussed some of those  
11 last week, and we'll be discussing them, too, that  
12 were points in the study to provide direction going  
13 forward. And so those have been reported up also in  
14 the ISR.

15 So those are the main slides  
16 I have and -- but I have a few other if we need more  
17 clarification on anything.

18 We can now just open it for some general  
19 questions.

20 And Cassie, I believe you had a question on  
21 the presentations tomorrow. Betsy, those are all  
22 being posted today?

23 MS. MCGREGOR: Yes, they are.

24 MR. GILBERT: Yeah. Okay.

25 MS. THOMAS: Okay. So any -- any ballpark

1 idea when?

2 MS. MCGREGOR: Well, one of our limitations  
3 is trying to do this -- we have the same staff who  
4 posts the material that are involved in trying to  
5 facilitate the meetings. So before -- hopefully by  
6 lunch everything will be posted.

7 MS. THOMAS: Okay. Understood. But, see,  
8 I have the same limitation in that I'm trying to be  
9 at this meeting, but I also want to have time to  
10 review those presentations before tomorrow. So  
11 thanks.

12 MS. MCGREGOR: Yeah. And just to clarify,  
13 there isn't new information presented in these  
14 presentations. They're just a reflection of  
15 everything that has been filed with FERC.

16 MS. THOMAS: I understand that. It's just  
17 that the approach I'm taking to try and manage this  
18 incredible amount of paper is to try to consolidate  
19 my notes on the presentations, and since that's what  
20 I've been doing for the last three days, I kind of  
21 want to continue that. So thanks.

22 MR. GILBERT: Yeah. Hopefully the  
23 presentations are a good snapshot. And each of the  
24 set of these, we'll be going through them, and that  
25 will also help inform everybody of what -- what

1 they're about. They aren't -- as Betsy said, there  
2 shouldn't really be new material. They were just --  
3 just another way to provide a high-level summary  
4 where the study is at and what its results have been  
5 to date.

6 Are there any other general questions  
7 before we get into waterbirds?

8 Okay. Well, great. You can always ask  
9 later as we have time.

10 But let's just go right to it so we make  
11 sure we can keep moving, because we want to allow all  
12 the time we can. There's quite a few studies.

13 So the first study we're going to go  
14 through is waterbird migration, breeding, and habitat  
15 use.

16 So Brian, do you want to advance that, I  
17 guess? Tim is going to present that?

18 MR. OBRITSCHKEWITSCH: That's correct.

19 MR. LAWHEAD: Hello, I'm Brian Lawhead.  
20 I'm the wildlife program lead for ABR, and we'll be  
21 going through all of these studies today with various  
22 study leads, except for a few studies for which the  
23 study leads were not available, and in those cases I  
24 will be giving the presentation or Mark Burch from  
25 Fish & Game will be giving the presentation.



1           The first one -- we set these up to try and  
2   group them sort of by species groups for people who  
3   have various interests in different species groups  
4   and given the amount of material in some of these  
5   reports.

6           The first one is the waterbird migration,  
7   breeding, and habitat use study. The presentation is  
8   mostly going to be given by Tim Obritschkewitsch of  
9   ABR. This study was a two-year study. It's been  
10  completed. The presentation today is based on the  
11  study completion report.

12           One of the components of that study was a  
13  migration study, a ground-based visual and radar  
14  monitoring study that was conducted in 2013. And  
15  we have Brian Cooper on the line from Oregon who may  
16  be able to answer any questions about that. So sort  
17  of a tag-team effort here.

18           I will be advancing the slides. And, Tim,  
19  why don't you take it away.

20           MR. OBRITSCHKEWITSCH: Okay. Again,  
21  this is Tim Obritschkewitsch. And how am I coming  
22  through? Am I -- can you hear me all right there?

23           MR. LAWHEAD: You sound great.

24           MR. GILBERT: Yeah. Sounds good.

25           WATERBIRD MIGRATION, BREEDING, AND HABITAT USE

1                   (Study 10.15) - Tim Obritschkewitsch, ABR  
2                   MR. OBRITSCHKEWITSCH: This is Study 10.15,  
3 Waterbird Migration, Breeding, and Habitat Use. The  
4 presentation will be less than ten minutes. I'm  
5 going to touch on the objectives and results only  
6 very briefly. Those details can be found in the  
7 study completion report which was filed in November  
8 of 2015.

9                   For the purposes of this study, waterbirds  
10 broadly includes swans, geese, ducks, loons, grebes,  
11 cranes, cormorants, herons, gulls and terns, although  
12 no cormorants or herons were recorded in this study.

13                  Status of the project: The study plan  
14 objectives have been met, and this study has been  
15 completed. The initial study report covering the  
16 2013 field season was filed in June of 2014, and the  
17 study completion report covering both the 2013 and  
18 2014 field seasons was filed in November of 2015.

19                  Next slide, please.

20                  Very briefly, our objectives included  
21 documenting the distribution, abundance, habitat use,  
22 and seasonal timing of waterbirds migrating through  
23 and breeding within the project area, and reviewing  
24 available information on food habits of fish-eating  
25 waterbirds in the study area in support of a mercury

1 bioaccumulation study.

2 Next slide, please.

3 Aerial surveys were flown at regular  
4 intervals throughout the project area during the  
5 spring and fall migration periods in 2013 and 2014,  
6 and ground-based radar and visual surveys were  
7 conducted from a site northwest of the proposed dam  
8 site during spring and fall of 2013. Surveys were  
9 flown for breeding birds and for birds in water  
10 bodies and for harlequin ducks in rivers.

11 Nests and broods of piscivorous birds were  
12 recorded in connection with the mercury study,  
13 although very few nests were discovered.

14 Next slide, please.

15 We had a few variances from the RSP.  
16 First, the number of surveys flown during migration  
17 was reduced, in part to maintain a five-day interval  
18 between surveys, each of which typically required  
19 more than one day to complete, and also in part  
20 because initiation and termination of migration  
21 surveys were dictated by ice conditions and breeding  
22 chronology, as was described in the study plan. As a  
23 result, we ended up conducting fewer surveys than  
24 expected, but we did cover the duration of spring and  
25 fall migration periods in both years.

1                   Also, the term "Breeding-Pair Survey" in  
2                   the RSP was replaced with "Breeding-Population  
3                   Survey," which is a more inclusive method that  
4                   includes all birds and not just those observed as  
5                   breeding pairs.

6                   Harlequin duck surveys were restricted to  
7                   ten river miles beyond the study area buffer in both  
8                   years due to logistical constraints. The distance of  
9                   ten miles was chosen based on the published home  
10                  range of harlequin ducks.

11                  In the original RSP, ground-based visual  
12                  surveys were to be conducted using a single observer.  
13                  The Fish and Wildlife Service recommended the use of  
14                  four observers, and this recommendation was accepted  
15                  by FERC in the February 1, 2013, study plan  
16                  determination. However, after further clarification  
17                  and discussions, the Service dropped its  
18                  recommendation, and ground-based visual surveys were  
19                  conducted with a single observer as originally  
20                  proposed.

21                  Next slide, please.

22                  Variances, continued: The Chulitna  
23                  Corridor was not surveyed in 2014. The corridor was  
24                  removed from the study area by AEA after the filing  
25                  of the June 2014 ISR. The Denali East Corridor

1 option was added to the study area, and that corridor  
2 was surveyed in 2014.

3 And finally, after consulting with resource  
4 agencies to identify suitable target species for  
5 potential sampling, the collection of tissue samples  
6 of fish-eating waterbirds was consolidated under  
7 Study 5.7.

8 Next slide.

9 The study area for both years can be found  
10 in the Study Completion Report. Figure 3.1 in the  
11 SCR reflects the changes in the survey areas between  
12 2013 and 2014, including removal of the Chulitna  
13 Corridor and the addition of the Denali East  
14 Corridor. Also shown here is the location of the  
15 radar sampling area in 2013.

16 Next slide, please.

17 The study site for ground-based radar and  
18 visual surveys in 2013 was located on the benchland  
19 about a half mile northwest of the proposed Watana  
20 dam site.

21 Next slide, please.

22 I won't go into the results in any detail,  
23 but in 2013 we had both aerial and ground-based  
24 surveys. The summary table -- this summary table of  
25 results is found in ISR Part B, Appendix T.

1                   Next slide.

2                   Ground-based visual and radar surveys  
3   documented relative abundance and peak occurrence of  
4   species groups moving past the study site, as well as  
5   detailed movement information, which are reported in  
6   the ISR and the SCR.

7                   Next slide, please.

8                   Aerial surveys were conducted in 2013 and  
9   2014. The timing of surveys and results can be found  
10   in ISR Part A, Section 5, for 2013, and in Section 5  
11   of the study completion report for both years.

12                  Next slide.

13                  Just as an example, here is the summary of  
14   waterbird observations during spring migration in  
15   2013. I don't know how well that's -- you're able to  
16   see that at that scale. Similar data were collected  
17   during the pre-nesting, brood rearing and fall  
18   migration periods.

19                  Next slide, please.

20                  And this is the same for 2014.

21                  Next slide.

22                  These were harlequin duck locations along  
23   rivers during pre-nesting surveys in 2013.

24                  Next slide.

25                  And for 2014. Similar data were collected

1 during the brood rearing period for harlequin ducks  
2 each year.

3 Next slide, please.

4 Decision points. We had one decision  
5 point, which was whether to continue the ground-based  
6 visual migration survey for a second year. This  
7 would be based on an evaluation of the results from  
8 2013. This was discussed in technical meetings on  
9 March 6th and April 9th, 2014, and was addressed in  
10 ISR Part C, Section 7, filed in June of 2014.

11 AEA considers the data obtained in 2013  
12 to have met the objectives stated in the RSP. The  
13 radar and visual surveys of bird movements in 2013  
14 were the most comprehensive migration surveys  
15 conducted for the Upper Susitna River basin to date,  
16 and the results have been compared with those of  
17 other studies in Interior and Southcentral Alaska.  
18 In ISR Part B, Appendix T, all that is given.

19 Next slide, please.

20 Modifications. All objectives and methods  
21 related to the mercury analysis have been  
22 consolidated under Study 5.7, Mercury Assessment and  
23 Potential for Bioaccumulation. Per the decision  
24 point, the study objectives related to the  
25 ground-based radar and visual migration studies were

1 met in 2013, and a second year of ground studies will  
2 not be conducted. The results were reported in ISR  
3 Parts A and B, Appendix T. There are no further  
4 modifications to this study.

5 Next slide.

6 The fieldwork, data analysis, and reporting  
7 have been completed and have successfully met the  
8 study objectives. Study 10.15 is complete.

9 Next slide.

10 Thank you for your time and attention. And  
11 I now welcome comments and questions.

12 MR. GILBERT: Thank you, Tim. That was  
13 really clear, and I appreciate the map of the -- I  
14 failed to mention the Chulitna Corridor and Denali  
15 East Corridor, which are part of the study areas for  
16 all studies. That is a change from the original  
17 plan.

18 So we can open it up to discussion or  
19 comments for Tim on waterbirds.

20 MR. LAWHEAD: I would like to make a  
21 request that whoever asks the questions speak clearly  
22 and repeat your name. We're trying to take notes on  
23 this meeting to prepare the meeting summary, and it's  
24 often hard for people, you know, elsewhere on the  
25 teleconference to hear. So if you're in the room



1 here in the back, please come forward near a  
2 speaker -- or a microphone, rather.

3 MR. GILBERT: Anybody have any questions  
4 for Tim?

5 MS. LONG: Yes, I do.

6 MR. GILBERT: Is that Becky?

7 MS. LONG: This is Becky Long from the  
8 Susitna River Coalition.

9 And so we only have one year of  
10 ground-based radar and visual? That was the decision  
11 point where you guys decided that one year was  
12 enough. So I'm just wondering that the break-up in  
13 2013 is a -- an anomalous weather pattern. It was  
14 one of the latest break-ups in -- in recorded history  
15 that we've been talking about.

16 And I was just wondering, you don't think  
17 that that affected just the one year of looking at --  
18 looking at the results?

19 MR. OBRITSCHKEWITSCH: I might throw -- I  
20 might throw that question to Brian.

21 MR. LAWHEAD: Yeah, sure. I was just going  
22 to comment that, yeah, that's correct. 2013 was an  
23 unusually late break-up, and we discussed this  
24 internally and also in the -- in the earlier ISR  
25 meeting and in the agency meetings. And the general

1 thinking is that while the timing of the migration  
2 probably was affected by that season, the -- you  
3 know, the occurrence of species in the area, the  
4 relative numbers of birds migrating through the area  
5 would not have been affected.

6 The timing would have been, and this is  
7 sort of bolstered by the results in 2014, the same  
8 from the aerial surveys, the same species groups were  
9 present, and the timing was a little bit shifted.  
10 The timing of breeding in 2013 was a little  
11 compressed because it was a late break-up, so you get  
12 different species groups coming out at different  
13 times, and the -- what we call the dabbling ducks,  
14 puddle ducks, tend to breed earlier than the diving  
15 ducks, which come a little bit later.

16 In 2013, that -- that timing was  
17 compressed. In 2014, it appeared to be a little more  
18 protracted, more like what you would expect on -- on  
19 a normal year.

20 The primary objective of the migration  
21 study was to identify, you know, the species and the  
22 magnitude of migration through the area rather than,  
23 you know, focusing too much on a timing. And the  
24 objective was to know what was using the area, what  
25 species groups were using the area, and to be able to

1 assess project impacts and develop protective and  
2 mitigative enhancement measures and look at things  
3 like potential collision with power lines or -- I  
4 know that early on one of the concerns of the Fish  
5 and Wildlife Service representative was potential  
6 collision of birds with the dam structure itself, I  
7 think, and also attraction to lights in the area.

8           So I would say that in terms of meeting the  
9 objectives of the study, the migration timing was  
10 less of a concern than the actual species that were  
11 present and the numbers of them moving through the  
12 area.

13           Does that...

14           MR. OBRITSCHKEWITSCH: I'd like to --

15           MS. LONG: All right. Thank you. Oh, go  
16 ahead. I'm sorry.

17           MR. LAWHEAD: No. I was...

18           MR. OBRITSCHKEWITSCH: Oh, sorry. I was  
19 just -- this is Tim Obritschkewitsch again.

20           Just to reiterate and elaborate a little on  
21 what Brian just said, timing of migration in the fall  
22 was very similar between the two years. The total  
23 number of birds and the -- and the species  
24 compositions were similar between the two years. And  
25 in the spring, the movements in 2014 or the use of

1 water bodies seemed to be shifted by a week or so but  
2 otherwise were similar on the total numbers and on --  
3 on the species that were using the area. So that --  
4 that's just -- that's where that is, yeah.

5 MS. LONG: Okay, good. Just a follow-up  
6 statement, Becky Long, is I just think it's important  
7 for when we get into PME measures, you know, during  
8 construction time, that, you know, we get it right.  
9 And it sounds like 2014 you guys adjusted -- or got  
10 out what probably the normal timing is and compared  
11 it with other studies in the Interior, I believe you  
12 said.

13 MR. LAWHEAD: The results of the -- of the  
14 2013 study were compared with the results of other  
15 studies in Alaska that had been done, yeah, and all  
16 around Gakona, up and around Tok, down around Fire  
17 Island. So we -- we looked at the available data  
18 from similar studies and tried to compare, you know,  
19 the -- to get an idea of the -- to get a better idea  
20 of the context of migration in the -- in the project  
21 area compared to other known migration corridors.

22 MS. LONG: Thank you.

23 MR. GILBERT: Okay, great. Other -- any  
24 other questions?

25 MR. WOOD: This is Mike Wood.

1 MR. GILBERT: Okay, Mike.

2 MR. WOOD: Hi, guys.

3 Is there a study of the resident waterfowl,  
4 so the non-migratory waterfowl that hang out  
5 throughout the year, like hooded mergansers and  
6 mallards?

7 MR. LAWHEAD: So your question is regarding  
8 the presence of waterfowl in the project area during  
9 the winter?

10 MR. WOOD: Yes.

11 MR. LAWHEAD: There have been no winter  
12 surveys of waterfowl in the Upper River. You know,  
13 the thinking is that virtually all of the species in  
14 that area leave the area because of the winter  
15 conditions and the -- the amount of --

16 MR. WOOD: Okay.

17 MR. LAWHEAD: -- frozen water.

18 MR. WOOD: How about Middle River?

19 MR. LAWHEAD: No, there was no work -- no  
20 winter surveys done of waterfowl in the Middle River.  
21 I should point out --

22 MR. WOOD: Is there any --

23 MR. LAWHEAD: I should point out that  
24 hooded mergansers don't occur in Alaska. I think you  
25 might mean common mergansers.

1 MR. WOOD: Sorry. Yes, common.

2 But they -- are they not here year-round?

3 MR. LAWHEAD: A few are.

4 MR. WOOD: As well as mallards?

5 UNIDENTIFIED SPEAKER: (Indiscernible -  
6 lowered voice.)

7 MR. WOOD: Okay, a few.

8 And mallards, as well, now are starting to  
9 be more and more common throughout the winter.

10 MR. LAWHEAD: Yeah. That -- it's -- in  
11 various areas around Interior Alaska where there's  
12 open water in the wintertime, a few species, a few  
13 waterfowl species do hang out. The numbers are --  
14 are very small. It's usually mallards and common  
15 goldeneyes in some areas. Typically around areas  
16 where there's springs or -- or groundwater  
17 upwellings, but the numbers are very small.

18 MR. WOOD: Okay. So will you be looking at  
19 the distribution of swans, as well?

20 MR. LAWHEAD: Swans were one of the  
21 species, yes, that were covered in the surveys.

22 MR. OBRITSCHKEWITSCH: Yeah, we did. We  
23 found swan nests, particularly in the Denali West  
24 Corridor, up on the north end of -- north end, and  
25 then near Cantwell. And then migrating flocks of

1 swans tended to be found more on -- on the lakes down  
2 in the -- the Gold Creek Corridor, on Stephen and  
3 Murder Lakes and those sorts of places. But we do  
4 have quite a few detailed information on swans.  
5 They're pretty easy to track during the -- during the  
6 nesting and brood rearing period. We did surveys  
7 through the entire breeding season.

8 MR. WOOD: And that includes the Middle  
9 River? So the breeding pairs that hang out in -- in  
10 the sloughs and side channels?

11 MR. OBRITSCHKEWITSCH: Yeah. We --

12 MR. LAWHEAD: The surveys -- the surveys  
13 were done within a three -- I think it was a  
14 three-mile buffer around the transportation access  
15 corridor, around the alignments. So, yeah, they did  
16 extend down to Gold Creek, not all the way down to  
17 Talkeetna.

18 MR. WOOD: Thank you.

19 MR. LAWHEAD: Any other questions or  
20 comments?

21 All right. Hearing none, we will move on  
22 to the next study, which is 10.14 Surveys of Eagles  
23 and Other Raptors. That will be presented by John  
24 Shook of ABR. I hope he's able to do a good job. He  
25 may be a little impaired. He just ran a hundred mile

1 race on -- from Sunday to Monday. He may be a little  
2 slow on his feet. I don't know.

3 So we'll pull the -- pull this up, and then  
4 I'll turn it over to you, John.

5 I should mention that there will be a  
6 slight delay when I switch the slide. So if you hear  
7 a pause, that's why he's -- it will take him a little  
8 bit to see the slide after it's changed.

9 Okay, John, you ready?

10 MR. SHOOK: All right. Yeah. Can you hear  
11 me okay?

12 MR. LAWHEAD: Yup. Take it away.

13 SURVEYS OF EAGLES AND OTHER RAPTORS

14 (Study 10.14) - John Shook, ABR

15 MR. SHOOK: Yeah. Let's -- we're going to  
16 breeze over some of the objectives and results and  
17 stuff that have been well-documented in previous  
18 presentations and reports and concentrate on some  
19 other points that are important for these  
20 presentations. So we submitted the ISR in June of  
21 2014 and the Study Implementation Report, November of  
22 2015. Other studies not complete, so there's not a  
23 Study Completion Report.

24 Overall some status highlights, that we  
25 conducted occupancy and productivity surveys for



1 nesting raptors in 2012 to 2014. In 2013 we  
2 completed the first year of woodland raptor surveys,  
3 nest viability surveys and raptor migration surveys.  
4 In 2012 and '13, we completed two years of surveys  
5 for fall and wintering raptors for their communal  
6 roosts or foraging areas. And we have also been  
7 continuously delineating eagle nesting habitat for  
8 the nesting raptors in 2012 to 2014.

9 Next.

10 Further status on Study 10.14. We didn't  
11 do any field surveys in 2015, but we did conduct some  
12 analyses. We continued to update the geospatially  
13 referenced relational database for raptor nests.  
14 It's quite a large database now with all the nests in  
15 there. And then we continued delineating the eagle  
16 nesting habitat.

17 Next slide. Thank you.

18 Again, these objectives have been discussed  
19 and presented in reports, so I'm not going to go  
20 through each of them, but you can see them here.

21 Next slide.

22 The major study components included three  
23 major field efforts; the first three bullets here:  
24 The nesting surveys, foraging and roost surveys in  
25 the winter and fall, the migration surveys. And then

1       there was -- mercury assessment we'll talk about  
2       later. That was deferred to a different study.  
3       And -- but we also did a delineation of eagle nesting  
4       habitat; mostly like a GIS exercise.

5               Next.

6               Our variances for this study were fairly  
7       minor. We had two study area variances, which have  
8       been discussed as far as -- in other studies, so I  
9       won't -- I don't need to go into them. Basically the  
10      Denali East and the Chulitna. But we also had -- for  
11      the migration survey, we did not have some land  
12      access permits that -- that prevented a few migration  
13      points from being conducted in that year.

14              And then the feather samples couldn't be  
15      obtained because of salvage permit delays. So we  
16      couldn't get the permit in time for that year. And  
17      later we decided it was -- it was better to move that  
18      study to the -- to the mercury study.

19              And then in 2014 again, the Chulitna  
20      Corridor was eliminated, so that was a variance.

21              Next slide.

22              I'm just going to gloss over the results.  
23      This is 2013 results of nest occupancy and  
24      productivity surveys. The major take-homes here are  
25      the first column, total nests, these are just nest

1 structures. Eagles were the most dominant raptor  
2 here, primarily golden eagles in the mountainous  
3 areas, and even, you know, smaller rock outcrops, and  
4 then bald eagles closer to riparian areas.

5 And of note is that they -- they, eagles,  
6 had pretty low nesting success, the last -- the last  
7 couple of columns on the right, in 2013.

8 Next slide.

9 In 2014, similar -- most of the raptors are  
10 golden -- or golden and bald eagles, and they also  
11 had fairly low nesting success in 2014.

12 Next.

13 This map displays just the eagle nests, the  
14 golden eagles in yellow and the bald eagles in red,  
15 so that you can just get an idea of their  
16 distribution. Again, these are nest structures,  
17 they're not all occupied. The occupied structures  
18 are the stars.

19 Next slide.

20 MR. LAWHEAD: One thing you might point out  
21 here, John, is that that expanded building of the  
22 survey area, the buffer around the reservoir was -- I  
23 think was -- was it ten miles instead of three or  
24 something like that?

25 MR. SHOOK: Correct. It was ten, yes.

1                   Okay. Next slide is the 2014, just to show  
2   you the -- the Denali East survey area in the upper  
3   right was added and the Chulitna was eliminated.  
4   Generally, that just -- yeah, the distribution of  
5   nests, very similar between the years.

6                   Next slide.

7                   And the next slide, so this is the -- all  
8   the other raptors: Northern goshawks, red-tail  
9   hawks, gyrfalcon, peregrine falcon, common raven and  
10  some unidentified species of nests. So most of the  
11  nests you'll see here that are the non-eagle nests  
12  are peregrine falcons and common ravens.

13                  It's noteworthy that in the 1980s the  
14  studies did not find any peregrine falcon nests. So  
15  this might represent a range extension for that  
16  species, which has been seen elsewhere in the state  
17  and reported in other publications.

18                  Next slide.

19                  Brian?

20                  MR. LAWHEAD: And one other comment I'll  
21  note here is that the unidentified raptor is because  
22  you found a nest but there was no species associated  
23  with it. It's not like there was a mystery species  
24  out there somewhere.

25                  MR. SHOOK: Correct. Yeah, that's a good

1 point. Yeah, these are like -- these are nest  
2 structures. So those are like -- the unidentified  
3 ones are usually stick nests that are located on a  
4 cliff or in a tree that you can't tell the species.

5 And then this is just 2014, the same  
6 species, again showing the Denali East and Chulitna  
7 modify -- or, changes.

8 Next slide.

9 This is a fairly comprehensive slide of  
10 migration points. We had several migration points,  
11 which are the red dots spread throughout corridors,  
12 and these diagrams show both the abundance and  
13 direction of travel of migrating raptors. And  
14 there's no -- no evident pattern here, a non-random  
15 pattern. It's fairly -- nothing came out really  
16 clear that showed a very directed migration.

17 The different colors are different species,  
18 but the major take-home is that we did not -- we did  
19 not discover a major, like, corridor for raptors in  
20 -- in this year.

21 Next slide.

22 And these represent the four other studies.  
23 We did a nest sightability study during our nesting  
24 surveys. We also did woodland raptor surveys within  
25 the proposed reservoir zone, and in the winter and

1 fall we did foraging and communal roosting surveys,  
2 and we also delineated in that same habitat.

3 The results of the sightability surveys was  
4 that they really helped correct -- they will help  
5 correct total numbers with a sightability correction  
6 factor that would be performed at the completion  
7 of the studies.

8 The woodland raptor surveys showed that  
9 their low detectability on normal plots, but that  
10 when we performed our high-intensity plots, we  
11 detected several more -- or a few more nests. And  
12 the steep terrain of the study area in the reservoir  
13 complicated the surveys, which decreased the  
14 sightability, and we suggested some modifications for  
15 future surveys, which we'll go into.

16 The foraging and communal roosting surveys  
17 didn't show any concentration of wintering raptors.  
18 And then the analysis for the nesting eagles will be  
19 used to delineate potential breeding or foraging  
20 habitats for the future.

21 Next slide.

22 The proposed modifications to Study 10.14,  
23 fairly minor. We have four of them. The first one  
24 is the elimination of the Chulitna Corridor and  
25 addition of Denali East. The woodland raptor

1 surveys, we're going to adjust the intensity to  
2 account for the results that we've had. With this  
3 steep terrain, we think that the methods could be  
4 improved. We're going to reduce -- we'll reduce the  
5 coverage area and increase the intensity in that  
6 coverage area, which we think will give better  
7 results.

8 Two more, on the next slide, two more  
9 proposed modifications. We feel that the two years  
10 of foraging and communal roosting surveys were  
11 adequate. We didn't identify any major  
12 concentrations of wintering eagles. And then the  
13 mercury analysis objectives will just move to Study  
14 5.7.

15 So next slide.

16 The steps to complete the study are, for  
17 the raptor nest and occupancy surveys and woodland  
18 raptor surveys, we need to complete those. And the  
19 spring and fall migration surveys, we need another  
20 year of those, along potential power line  
21 transmission routes. Another season of sightability  
22 assessments for raptor nesting surveys, and then  
23 complete the delineation of bald and golden eagle  
24 nesting habitats when all the fieldwork is completed.

25 So that's the end of my presentation. If

1       there's any questions -- more clarifications that  
2       Brian might point out or if anybody has questions or  
3       comments, add time. Thank you.

4               MR. LAWHEAD: Thanks, John.

5               MR. GILBERT: Any questions?

6               MS. McCRACKEN: I just have a comment.

7               MR. GILBERT: Sure, go ahead.

8               MR. LAWHEAD: Betsy McCracken. Sorry.

9               MS. McCRACKEN: This is Betsy McCracken  
10       with the Fish and Wildlife Service, and I just wanted  
11       to get on the record -- can you hear me okay?

12              MR. LAWHEAD: I don't know if --

13              Can you hear her?

14              MR. SHOOK: No, I can't quite hear her.

15              MR. LAWHEAD: Okay. She's coming up to the  
16       table.

17              MR. GILBERT: There you go.

18              MS. McCRACKEN: This is Betsy McCracken  
19       with the Fish and Wildlife Service, and I just wanted  
20       to get on the record with regards to the wildlife  
21       studies, as in the past throughout this ILP process,  
22       we will be -- we only have the staffing resources to  
23       address the avian Studies 10.14, 10.15, 10.16, and we  
24       will be doing that through our written comments.  
25       We've recently had a turnover in staff, and so we



1 are -- we are going to continue with our  
2 participation, but it will be through our written  
3 comments.

4 And also I wanted to state for the record  
5 that last week, during the water quality studies, 5.7  
6 for the mercury reassessment, we did bring up our  
7 concerns related to the lack of blood and feather  
8 samples for the birds.

9 So that's it, for the record. Thank you.

10 MR. GILBERT: Okay. Thanks.

11 MR. SHOOK: Okay. Thanks.

12 MR. GILBERT: Betsy.

13 MR. HANKINS: This is Jesse Hankins here.  
14 You've put together a large data set. I'm curious,  
15 is that nest data available, or will it be made  
16 available to, say, agency personnel?

17 MR. LAWHEAD: Did you hear that, John?

18 MR. SHOOK: I think I heard. He's asking  
19 if the nest data will be available for state agency  
20 personnel?

21 MR. LAWHEAD: Well, he's with BLM. Agency  
22 personnel in general, I think.

23 MS. MCGREGOR: I can answer that  
24 question.

25 MR. LAWHEAD: Yeah.

1 MS. MCGREGOR: Any data requests for any of  
2 the information goes through AEA, and we're happy to  
3 make data available to regulatory agencies. Some of  
4 this data, though, we don't ordinarily file with  
5 FERC. We don't -- we don't want it out for the  
6 public because of the sensitive nature of it. But we  
7 did in the past, we have provided all the raptor data  
8 to the Fish and Wildlife Service. So if you just  
9 make the request, and, you know, it's actually going  
10 to be used in a responsible manner, we'd be happy to  
11 pass it on.

12 MS. LONG: Hi. This is Becky Long from  
13 SRC. Okay to ask a question?

14 MR. GILBERT: Yes.

15 MR. LAWHEAD: Please, go ahead, Becky.

16 MS. LONG: Okay. I have two questions. I  
17 just was wondering if you guys came to an analysis  
18 of the low nesting success in '013 and '014. And my  
19 second question is, is you talked about this in the  
20 October '014 meetings about the -- you know, after  
21 the anomalous break-up in 2013, you all discussed  
22 that it was possible migration was delayed until  
23 after the surveys were ended, and you couldn't really  
24 conclude whether the migration was delayed or just  
25 didn't show up. You know, you said it was hard to

1 make a definite conclusion, especially from one-year  
2 studies.

3 I just wonder if you have made other  
4 conclusions or if what I just stated is still what  
5 you think.

6 MR. SHOOK: For the first question, the  
7 analysis of low nesting success in 2014 and 2013: We  
8 did address these questions in -- in the discussion  
9 of the reports and compared them to other results,  
10 especially in nearby Denali National Park. It -- and  
11 it appears that there was low nesting success in --  
12 in other areas, as well. In Denali they also did an  
13 index of snowshoe hares during their surveys, and  
14 they found low numbers of snowshoe hares, which  
15 corresponds to low nesting success for golden eagles.  
16 And we anecdotally found, you know, similar patterns  
17 that we were not seeing many snowshoe hares out  
18 there, and that may be one reason for the low nesting  
19 success. And there -- that's further discussed in  
20 the -- in the discussion of the reports, but  
21 that's -- that might -- that might account for the  
22 low nesting success.

23 Yeah. And, Brian, you want to hit on the  
24 2013 weather question? Similar -- similar response,  
25 probably, to what -- what you had for Tim.

1                   MR. LAWHEAD: Yeah, I think that's true. I  
2 mean, her -- I don't recall us saying before that we  
3 thought that we missed migration occurring after the  
4 end of the surveys. I mean, I would have...

5                   John, do you remember that? In the --  
6 those migration surveys ended at a pretty reasonable  
7 time, I think, I mean, in the normal...

8                   You know, and we did have migration  
9 coverage with the ground-based and radar migration  
10 survey element that went quite a bit farther into the  
11 spring, too.

12                   The main concern with those migration  
13 surveys along the transmission corridor was to  
14 address concerns of the Fish and Wildlife Service  
15 related to the potential for collision of raptors,  
16 and most of the species in the -- most of the raptors  
17 in the area are eagles, and they tend to migrate  
18 pretty early.

19                   MR. SHOOK: Yeah, that sounds correct.

20                   MS. LONG: The things I brought up were  
21 pretty much direct quotes from the transcript, so  
22 that's the reason why I said them.

23                   MR. LAWHEAD: Huh. We'll look -- we'll  
24 take another look -- take another look at that, but I  
25 don't remember stating that we thought we missed a

1 bunch of migration after the -- after the surveys  
2 ended. But comment is noted, and we'll take a look  
3 at that.

4 MS. KNOLL: This is Erin Knoll, U.S. Fish  
5 and Wildlife Service.

6 Hey, I had a quick question on the buffer,  
7 the golden eagle buffer.

8 MR. LAWHEAD: Just a second.

9 Can you hear her, John?

10 MR. SHOOK: Yes.

11 MS. KNOLL: All right. The golden eagle  
12 buffer, ten miles. Was that five miles on either  
13 side or ten miles on either side?

14 MR. LAWHEAD: It's ten miles.

15 MS. KNOLL: Okay.

16 MR. SHOOK: It's ten, yeah.

17 MS. KNOLL: Ten, okay.

18 And then has there been any talk or  
19 discussion of the smaller raptors and owls that are  
20 not picked up in the other surveys as to how to  
21 quantify them or if any additional surveys will be  
22 done to look at them?

23 MR. SHOOK: Well, those -- yeah. The  
24 smaller raptors, they're difficult to quantify from  
25 aerial surveys. They're accounted for somewhat in

1 the landbird -- the landbird studies that pick up  
2 nesting raptors on those -- on point counts, and also  
3 with the habitat, wildlife habitat analyses to  
4 estimate kind of the habitats that they may use.

5 We did -- we did observe some smaller  
6 raptor species from aerial surveys, including  
7 merlins, because they're highly territorial, so they  
8 may flush out and fly around, so you tend to see some  
9 of those. But on these aerial surveys we normally  
10 see great horned owl nests and great gray owl nests  
11 and red-tail hawk nests in trees in other survey  
12 areas, and it was very interesting that we didn't  
13 find any great horned owls or great gray owls  
14 nesting, and only one pair of red-tail hawks. So  
15 it was assumed to be not many of those around in this  
16 area.

17 MR. LAWHEAD: Yeah. And I can address --  
18 and the question early on in the development of the  
19 study plan, the question came up from Maureen  
20 DeZeeuw with Fish and Wildlife Service about --  
21 specifically about, like, owls, boreal owls, hawk  
22 owls. And short of trying to go out and do winter  
23 surveys, which we kind of nixed on the basis of,  
24 you know, logistic and safety concerns, we agreed  
25 that we would assume they were present and address

1       them in the wildlife habitat evaluation based on  
2       existing information from the literature. In other  
3       words, her concern was that we not include that they  
4       weren't present because we didn't do surveys for  
5       them.

6                   MS. KNOLL: So Maureen is no longer with  
7       the Service, so I'm kind of picking up her notes --

8                   MR. LAWHEAD: Sure.

9                   MS. KNOLL: -- and trying to figure out  
10      where we --

11                  MR. LAWHEAD: Sure, I understand.

12                  MS. KNOLL: -- stand with things.

13                  MR. LAWHEAD: Yeah. But it is -- as John  
14      explained, it was difficult to pick up some of the  
15      smaller raptors from the aerial surveys, like  
16      (indiscernible - simultaneous speech) --

17                  MS. KNOLL: Yeah. I would --

18                  MR. LAWHEAD: -- (indiscernible -  
19      simultaneous speech) and things like that.

20                  So we're just going to use the best  
21      available information we can to make sure that that  
22      wildlife habitat evaluation is for all the species,  
23      in other words.

24                  MS. KNOLL: Yeah. I would just like to  
25      add --

1 MR. SHOOK: (Indiscernible - simultaneous  
2 speech.)

3 MR. LAWHEAD: Go ahead.

4 MR. SHOOK: Point counts from the landbird  
5 surveys definitely pick up some of these nesting  
6 smaller, smaller birds, and they're -- as a pretty  
7 good distribution across habitat sites, so that  
8 wildlife habitat exercise I think will be valuable.

9 MR. SCHICK: This is Terry Schick from ABR.  
10 I'll be talking about the landbird/shorebird study  
11 here in a moment. But I would emphasize the habitat  
12 use evaluation for smaller woodland nesting raptors,  
13 because the landbird/shorebird surveys were in late  
14 May and June, so you're a little bit late for some  
15 of the woodland nesting raptors. I'm not sure  
16 that -- I would have to go back and look, but I'm not  
17 sure we've located nests for those species.  
18 Certainly had a lot of them. They're never very  
19 abundant anyway. They're uncommon and they're widely  
20 disbursed.

21 But as Brian pointed out, the wildlife  
22 habitat use evaluation will certainly pinpoint  
23 suitable habitats for those species in the study  
24 area.

25 MR. LAWHEAD: And we'll talk about that



1 study a little bit more in the afternoon, too, the  
2 wildlife habitat one.

3 MS. MCGREGOR: I just want to add, since  
4 Erin is new, we did go through consultation with the  
5 Fish and Wildlife Service to develop the ten-mile  
6 buffer area.

7 MS. KNOLL: That's -- I figured you did, I  
8 just wasn't able to locate it in the notes yet, so...

9 MS. MCGREGOR: We've had turnover in other  
10 agencies, too, and some of our consultation record  
11 that's very helpful is in the appendices of the  
12 preliminary study plan.

13 MS. KNOLL: Okay.

14 MR. LAWHEAD: Yeah. And that ten-mile  
15 buffer was added at the request of the eagle  
16 permitting folks to be able to evaluate potential for  
17 territory take.

18 MS. KNOLL: Yeah. And that's our standard  
19 recommendation, so I just --

20 MR. LAWHEAD: Right.

21 MS. KNOLL: I just wanted clarification.  
22 Sorry. Looking at appendices?

23 MR. GILBERT: Good question.

24 MS. MCGREGOR: In the preliminary study  
25 plan, the PSP. Was that June, July of 2012?

1 MR. LAWHEAD: '12, yeah.

2 MS. MCGREGOR: And it's on our website. So  
3 the consultation records for all the wildlife  
4 resources will be at the end of the wildlife  
5 resources section.

6 MR. GILBERT: And it's by study, so you can  
7 look it up, so it is all there. There are a lot of  
8 documents to go back through, no doubt.

9 MR. MITCHNICK: Could you touch a little  
10 bit on territorial take, exactly what constitutes  
11 territorial take?

12 MR. GILBERT: Alan Mitchnick from FERC  
13 speaking.

14 MR. LAWHEAD: Yeah. Did you hear that,  
15 John?

16 MR. SHOOK: I did not quite hear it, no.

17 MR. LAWHEAD: Okay. So Alan Mitchnick of  
18 FERC wants a little bit more explanation of the  
19 territory take as opposed to nest take. So it -- I  
20 mean, I can try to take a stab at it, but you're  
21 better informed on the eagle permitting issue than I  
22 am.

23 MR. SHOOK: Well, I would -- if I could,  
24 I would defer to, yeah, folks at Fish and Wildlife  
25 that have more experience with this. Because this --

1 this goes into part -- this is outside of the scope  
2 of our -- our reports, really, because we didn't go  
3 into any impact analysis, so we didn't discuss  
4 territory take.

5 MR. LAWHEAD: Right. But it -- but it is a  
6 concern for these species, particularly for golden  
7 eagles, and it's something like -- the ten miles is  
8 based on, what, is it, like, double the mean  
9 internest distance or something like that? So it's a  
10 larger --

11 MR. SHOOK: Yeah.

12 MR. LAWHEAD: -- area just than the nests.  
13 You know, under the bald and golden eagle protection  
14 act, nest take is regulated, but -- but territory  
15 take is also a concern in the -- in the area of the  
16 reservoir inundation zone because it would flood  
17 potential foraging habitat. That's my understanding  
18 that that was -- that was why the Fish and Wildlife  
19 Service was concerned about that, habitat  
20 altering -- altering activity affecting, you know,  
21 the quality of the nesting territories, so they want  
22 to look at a larger area.

23 MR. MITCHNICK: Okay. Well, we'll talk  
24 more about this later.

25 MR. GILBERT: Okay.

1                   MR. LAWHEAD: Does Fish and Wildlife  
2 Service have any more to add about it?

3                   No? Okay.

4                   MR. GILBERT: Any other questions or  
5 comments on the raptors?

6                   MR. WOOD: This is Mike Wood.

7                   MR. GILBERT: Sure. Mike, go ahead.

8                   MR. WOOD: I just want to comment that  
9 there has been increased number of snowy owls in that  
10 area the last couple winters, especially at Gold  
11 Creek Corridor, and -- and also I spend a lot of time  
12 there and do see red-tail hawks.

13                   MR. SHOOK: Okay. That's good information.  
14 In the -- the snowy owls, what time of winter are you  
15 seeing them?

16                   MR. WOOD: I've seen them through January,  
17 February, March and into April. And there has been  
18 increased number of red-backed voles, too, so maybe  
19 that's corresponding with that up there, but in this  
20 area in general there's a lot more red-backed voles.

21                   MR. SHOOK: Okay. Thank you.

22                   MR. WOOD: Thanks.

23                   MR. LAWHEAD: Yeah. I would make the  
24 comment, I think that in general we were surprised at  
25 how few red-tailed hawks were recorded on surveys in

1 the -- in the Upper River stretch in the area of the  
2 reservoir zone in the intensive studies that were  
3 done for the migration surveys.

4 I think there was -- you only found one  
5 nest in all the --

6 MR. SHOOK: Yeah. We found one nest, and  
7 then the next year there was a pair of red-tails  
8 occupying that area, but we couldn't locate a nest or  
9 they were not nesting. And we didn't -- you know,  
10 our studies -- if you saw a study area map, we didn't  
11 go all the way to Talkeetna, and it's possible --  
12 it's possible that lower elevation areas could have  
13 more red-tails, areas that are outside of our study  
14 area, red-tails, nesting red-tails, anyways.

15 MR. LAWHEAD: Any other comment --

16 MR. WOOD: Just a clarification, John.  
17 Well, I'm just talking about the Gold Creek area and  
18 Target Lake and, like, and the state land that goes  
19 between Stephan Lake and Gold -- and Gold Creek.

20 MR. SHOOK: Okay.

21 MR. WOOD: Up high in the tundra.

22 MR. SHOOK: Oh, okay. Well, that's good.  
23 Interesting.

24 MR. LAWHEAD: And one comment I would make  
25 about the snowy owls for the benefit of other

1 listeners is they don't nest in the area, and that  
2 species is widely known to be transient in a lot of  
3 areas, depending on the nature of the breeding  
4 success in the summer on Arctic tundra and the amount  
5 of food available in the winter in various wintering  
6 areas. It's a highly eruptive species and moves  
7 around a lot in different parts, even different parts  
8 of the continent.

9 MR. WOOD: Okay.

10 MR. LAWHEAD: Okay. Any other questions?

11 If not, we will move on to Study 10.16,  
12 Terry Schick.

13 MR. SCHICK: Okay. We're getting close to  
14 ten o'clock, so I am going to have to move very --

15 MR. LAWHEAD: We're going to click through  
16 this, Terry.

17 MR. SCHICK: We're not going to -- okay,  
18 five to ten minutes for this presentation, folks.

19 LANDBIRD AND SHOREBIRD MIGRATION, BREEDING,  
20 AND HABITAT USE

21 (Study 10.16) - Terry Schick, ABR.

22 MR. SCHICK: There are a lot of slides  
23 here. Most of this, as everyone has mentioned  
24 already, is present in a number of documents in the  
25 ISR Parts A, B and C, and Part D. So I won't go into

1 all of these details, but all of this is here for the  
2 record. It's a nice, more concise summary of the  
3 status of the study and what needs to be done from  
4 here.

5 MR. LAWHEAD: Just click.

6 MR. SCHICK: Right there, yeah.

7 So, study objectives, I'm not going to go  
8 into great detail here. Basically, this is a  
9 baseline study to collect information on distribution  
10 and abundance of landbirds and shorebirds in the  
11 study area, with the ultimate goal of using that  
12 information to assess the impacts to these species  
13 from the proposed project. That involves identifying  
14 habitat associations, and another major goal is to  
15 compare current information to the distribution,  
16 abundance, and habitat use of these same species that  
17 were collected in the 1980s for the APA project.

18 Study components. There are three primary  
19 study components: Point count surveys in May and  
20 June for breeding landbirds and shorebirds; and then,  
21 transect surveys along riverine corridors and around  
22 lacustrine water bodies to pick up species that  
23 typically are recorded in lower numbers on point  
24 counts, species that are focused on these riverine  
25 and lacustrine habitats, which tend to be

1 undersampled in point count surveys. And then,  
2 specific surveys for nesting swallow colonies in the  
3 reservoir inundation zone.

4 So the status of this study, ISR Parts A,  
5 B, and C, were filed in June of 2014.

6 UNIDENTIFIED SPEAKER: '13.

7 MR. SCHICK: Details of the survey results  
8 from May and June of 2013, then in October 2014  
9 there was an ISR meeting very similar to this one  
10 which summarized the 2013 results.

11 The 2014 study implementation report, which  
12 was completed in November of 2015 details the survey  
13 results from the 2014 field season. And the ISR Part  
14 D provides an overall summary of all the tasks and  
15 documents filed for the study.

16 Variances. There's a number of variances  
17 for the study. They were implemented to improve  
18 study methods and/or adapt to changes in the study  
19 area. We used a different method to allocate point  
20 count, plot locations. In 2013 and 2014, there was  
21 actually an improvement over the recommended method  
22 in the RSP.

23 Then there were two reductions in survey  
24 area in 2013 because we didn't have fine scale  
25 vegetation data to allocate plots in some locations,



1     which was corrected in 2014; and we didn't have  
2     access to Cook Inlet Region Working Group lands in  
3     2013. That was also corrected in 2014.

4             Helicopter surveys were used for swallow  
5     colony surveys, which improved spatial coverage and  
6     efficiency. And that also allowed us to survey a  
7     much larger area than proposed. So we surveyed a  
8     full two-mile buffer; that is, two miles on either  
9     side of the upper extent of the reservoir at high  
10    water, kind of around the dam and camp site.

11            Then in 2014 we have the study area  
12    alterations, which we've discussed: The addition  
13    of the Denali East Corridor and the removal of the  
14    Chulitna Corridor.

15            We used a half mile buffer around all  
16    private land parcels and Alaska Railroad Corporation  
17    land, which really only occurs at the far western  
18    part of the Gold Creek Corridor, to ensure that we  
19    weren't sampling on lands that we did not have access  
20    to.

21            And in 2014, we eliminated the point count  
22    survey component of the riverine-focused transect  
23    surveys, which was really a trial survey platform in  
24    2013, and we dropped those because noise from  
25    riverine -- riverine noise frequently was inhibiting

1 detection, songbirds, point count surveys. Primarily  
2 detecting birds by ear, and when you have noise  
3 interference, the data are not that good. So we  
4 eliminated that in 2014, continued the transect  
5 surveys, which provide some interesting data.

6 A couple more variances in 2014. Partly at  
7 the request of Fish and Wildlife Service, we changed  
8 the metric for the riverine-focused surveys from  
9 birds per unit, time spent surveying, to a linear  
10 density measurement: Birds per kilometer of stream  
11 length. And we'll have these data for 2013 and 2014.  
12 In fact, we're working up that information right now  
13 for the study completion report.

14 And then in 2014, we implemented line  
15 transect distance sampling methods for the riverine  
16 transect surveys, which may allow us to calculate  
17 corrected -- density estimates corrected for  
18 detectability. That remains to be seen, but we have  
19 those data now, and we're working those into the  
20 study completion report.

21 Summary of results. I will have to click  
22 through this pretty quickly. We collected lots of  
23 point count data. Over 2500 point counts were  
24 conducted across both years. This is a huge sample  
25 size. It's probably the most intensive individual

1 point count study that has been conducted in Alaska.  
2 And then in -- for riverine-focused and  
3 lacustrine-focused surveys, we conducted these across  
4 both years. Essentially we surveyed all of the  
5 safely accessible riverine corridors that provided  
6 habitat suitable for landbirds and shorebirds in the  
7 reservoir area and the dam and campsite area. This  
8 includes the Susitna River and the clear water  
9 tributary streams running into it.

10 And in 2013, we found a total of 25 nesting  
11 swallow colonies in the reservoir area, in the  
12 two-mile study buffer.

13 This is a depiction of the current study  
14 area, with the Denali East Corridor added, the  
15 Chulitna Corridor removed. As you can see, there are  
16 a bunch of point counts that were conducted in 2013  
17 in the Chulitna Corridor. Those data will still be  
18 used for habitat use analysis, and we hope to use  
19 them also in habitat-based density analyses that  
20 we can apply to the revised study area.

21 And this is the same map, indicating the  
22 location of the riverine- and lacustrine-focused  
23 survey transects in both study years, both study  
24 years.

25 So I'm not going to go into great detail

1 here. This is a very data-rich study. We have data  
2 on 60 landbird species across both years. The tables  
3 tend to be very large. But the area for landbirds is  
4 definitely dominated by sparrows, finches, thrushes  
5 and warblers, fox sparrows, white-crowned sparrows,  
6 common blackpoll, yellow rumped warbler, varied  
7 thrush, Savannah sparrow, ruby-crowned kinglet,  
8 American tree sparrow, dark-eyed junco, Wilson's  
9 warbler, and gray-cheeked thrush were especially  
10 abundant in both study years. We were able to  
11 calculate just 2013 data only. We haven't analyzed  
12 2014 yet.

13           There were sufficient numbers of  
14 observations to calculate densities for 38 of those  
15 53 species that were recorded in 2013 only.

16           As you might expect in a primarily forested  
17 habitat in the study area, shorebirds are not nearly  
18 as common. We found 14 species across both study  
19 years. Numbers were substantially lower in  
20 shorebirds, which they are normally. Shorebirds are  
21 less common and more widely disbursed, and there are  
22 fewer open areas for breeding for shorebird species.  
23 But there were a number of species that were  
24 regularly recorded. Wilson's snipe, by far, was the  
25 most abundant, but American golden plovers were also

1 found at higher elevations, lesser yellowlegs, least  
2 sandpiper, spotted sandpiper especially in riverine  
3 habitats. Red-necked phalarope in lacustrine water  
4 bodies. Whimbrel, semipalmated plover at higher  
5 elevations, and solitary sandpiper, all were  
6 regularly recorded in low numbers. Because of those  
7 low numbers, we were not able to calculate corrected  
8 densities for shorebirds in 2013. We're hoping that  
9 the combined data from 2013/2014 will allow us to do  
10 that, at least for some shorebirds, at least.

11 Lacustrine-focused surveys. These are  
12 pretty basic data indicating the number of birds  
13 observed on lacustrine shore lines and in adjacent  
14 habitats. There were some patterns across both  
15 years. Rusty blackbirds, Savannah sparrow, American  
16 robin, Bohemian waxwing, Wilson's warbler, fox  
17 sparrow, yellow-rumped warbler, hermit thrush and  
18 bank swallows foraging above lacustrine water bodies  
19 were pretty commonly recorded in both study years.

20 For shorebirds, rednecked phalaropes  
21 were by far the most abundant shorebird, using  
22 lacustrine water bodies, which is not surprising.  
23 That's -- that's where they breed.

24 Other species were also present. However,  
25 pectoral sandpiper as a migrant only. In May,

1 Wilson's snipe, Lesser yellowlegs, least sandpiper  
2 and solitary sandpiper were also commonly recorded  
3 using lacustrine water bodies and adjacent habitats.

4 Riverine-focused surveys. A number of  
5 landbirds that are associated with riverine  
6 corridors, in particular, northern water thrush and  
7 blackpoll warbler, were recorded commonly in both  
8 study years. Fox sparrows, Wilson's warblers, both  
9 shrub specialists were especially common.  
10 Yellow-rumped warbler, Swainson's thrush,  
11 Ruby-crowned kinglet, varied thrush were recorded in  
12 riverine forested habitats along stream drainages.  
13 White-crowned sparrows were also pretty common in  
14 forest, hedge and scrub habitats in both study years.

15 Notable for shorebirds was the spotted  
16 sandpiper, accounted for 97 to 98 percent of all  
17 shorebird observations in both study years. It  
18 appeared that they were defending distinct  
19 territories along the Susitna River. You could  
20 almost predict when you were going to see another  
21 spotted sandpiper as you walked along the survey  
22 transect.

23 Other shorebird species that were commonly  
24 recorded in riverine habitats were the least  
25 sandpiper, Lesser yellowlegs, solitary sandpiper, and

1 Wilson's snipe.

2 This is the depiction of location of the 25  
3 swallow colonies found in 2013. Largely these were  
4 bank swallows. A couple colonies were mixed, bank  
5 swallow and violet green swallow colonies.

6 And this is just a depiction of a couple  
7 different habitat types used by swallows. Permanent  
8 cliffs were definitely popular, especially at the top  
9 where they were a little bit safer from depredation  
10 by bears, in particular, but some recently fresh-cut  
11 banks along the Susitna River were also used in 2013.  
12 Some of these areas suffered pretty heavy  
13 depredation, probably by bears, because they were  
14 more accessible.

15 So proposed modifications for Study 10.16  
16 going forward. Like the riverine-focused surveys for  
17 the lacustrine-focused data, we will present the data  
18 as total number of birds recorded on lacustrine water  
19 bodies as opposed to the number of birds per unit  
20 time which was described in the RSP.

21 The comparisons to the 1980s data will be  
22 made in the Study Completion Report, which we're  
23 working on now.

24 And then we -- in the RSP, it described  
25 possible collection of feathers from belted

1 kingfishers for mercury analysis. That task has been  
2 consolidated under Study 5.7, but I also should point  
3 out that it was decided that belted kingfishers were  
4 just not nearly common enough to collect enough  
5 feathers to make this really a viable target species  
6 for the mercury assessment study.

7 Additional modification. The study team  
8 has determined that one to two years of data,  
9 depending upon the field survey concerns, are  
10 probably sufficient to meet the study objectives. As  
11 I mentioned, there's a very large number of point  
12 counts conducted. In the two study years, over 50 to  
13 70 percent greater than the sampling goal that was  
14 set forth in the RSP.

15 We have a large number of data to evaluate  
16 baseline distribution, abundance, and habitat use for  
17 landbirds and shorebirds in the study area. We also  
18 have good data in two study years for riverine- and  
19 lacustrine-focused surveys. And these data, although  
20 they're not -- they will not be corrected for  
21 detectability, should provide adequate data to  
22 provide minimum estimates in the number of landbirds  
23 and shorebirds that could be affected by development  
24 of the proposed project.

25 Additionally, we have data from 2014 for



1 line-transect distance sampling that may allow us to  
2 calculate corrected densities for the riverine  
3 transect survey data. And lastly, we used a more  
4 efficient survey platform, helicopter instead of a  
5 boat-based survey, for colonial nesting swallows.  
6 And that facilitated a much more comprehensive and  
7 more efficient survey for those nesting swallows.  
8 And again, we should have good data to provide  
9 minimum estimate number of swallows that could be  
10 affected by the proposed project.

11 Current status. Surveys were completed in  
12 2013 and 2014, as described in the RSP. We had many  
13 more point count surveys than the goal that was  
14 listed in the RSP, as I had mentioned. Riverine- and  
15 lacustrine-focused surveys were completed in both  
16 years as described in the RSP.

17 And we did swallow colony surveys in 2013  
18 only but within a larger study area and greater  
19 efficiency than was indicated in the RSP.

20 Steps to complete the study. We are  
21 working on all of these right now, combining the two  
22 years of landbird and shorebird data to compare those  
23 numbers and their -- well, numbers and habitat use,  
24 really, for current numbers to the data from the  
25 1980s, to evaluate any long-term changes in

1 occurrence and abundance.

2 We will be combining the two years of data  
3 and conducting removal and distance analyses to  
4 improve detection functions, improve the estimates of  
5 detectability, and provide corrected density  
6 estimates for as many landbirds and hopefully  
7 shorebirds as possible for the study.

8 We may be able to calculate corrected  
9 densities also for the 2014 data only along  
10 riverine-focused transects. That remains to be seen  
11 based upon the numbers of data and the distribution  
12 of the birds along those transects.

13 In either case, we'll have uncorrected  
14 riverine transect data for both study years to  
15 calculate minimum estimates in the number of birds  
16 along kilometers of stream, like in the reservoir  
17 inundation zone and the dam and camp site area.

18 And we will also provide more detailed  
19 habitat use analyses over preliminary analyses  
20 prepared for habitat use in the ISR in Part A, but  
21 we'll have two years of data to provide much more  
22 rigorous habitat use analyses in the study completion  
23 report.

24 And so that's all I have got at the moment.  
25 Anyone is welcome to ask questions.

1 MR. GILBERT: Questions, comments, for  
2 Terry?

3 UNIDENTIFIED SPEAKER: (Indiscernible -  
4 noise.)

5 UNIDENTIFIED SPEAKER: Can you hear me?

6 MR. GILBERT: Yeah. Mike, can you just --

7 MR. SCHICK: Yes.

8 MR. GILBERT: -- hold a minute? Erin has a  
9 comment from Fish and Wildlife.

10 MR. LAWHEAD: Come to the table.

11 MR. GILBERT: Yeah. Go ahead, Erin.

12 MS. KNOLL: Hey, yeah, Erin Knoll, U.S.

13 Fish and Wildlife Service.

14 I was curious how far downstream you guys  
15 surveyed swallows and shorebirds from the dam site.

16 MR. SCHICK: Well, it's a two-mile buffer.  
17 So that's two miles on either side of the study area.  
18 So we surveyed two miles downstream of the proposed  
19 dam site.

20 MS. KNOLL: Okay. So let's assume, then,  
21 that the effects of the dam will stop at two miles?

22 I just moved up from Arkansas, where, you  
23 know --

24 MR. SCHICK: Yeah. I -- you know --

25 MS. KNOLL: I remember that we had this

1 (indiscernible) down, so...

2 MR. SCHICK: That's a question for  
3 another --

4 MS. KNOLL: It's a much bigger question, I  
5 guess, but...

6 MR. SCHICK: -- study in terms of stage and  
7 flow effects; you know, hydrology questions, really.

8 MS. KNOLL: Yeah. Okay.

9 MR. SCHICK: But the focus really of the  
10 colonial nesting swallow surveys was to try to get an  
11 estimate of how many colonies could be actually  
12 impacted by filling the reservoir itself. It was  
13 less of a downstream effects question.

14 MS. KNOLL: Were the shorebirds surveyed  
15 downstream at all, or were they all within the --

16 MR. SCHICK: Shorebirds --

17 MS. KNOLL: -- (indiscernible -  
18 simultaneous speech).

19 MR. SCHICK: -- were surveyed throughout  
20 the full study area. So two miles around the  
21 reservoir, the dam, and campsite, and then two miles  
22 around each of the proposed corridors.

23 MS. KNOLL: Okay. Okay. I know you had  
24 the backup, but I just (indiscernible - lowered  
25 voice).

1 MR. SCHICK: Yeah.

2 MR. GILBERT: Okay. Mike Wood, can you  
3 hear us? Did you have a question?

4 MR. WOOD: Yes. I didn't -- I didn't hear  
5 that last answer about how far around they were --  
6 where the studies were conducted.

7 I guess my question is did -- were studies  
8 conducted in the Middle River, as well, for these  
9 birds? And then I've got a follow-up.

10 MR. SCHICK: Middle River, not really, no.  
11 Again, this study was really focused on potential  
12 effects of filling of the reservoir, construction  
13 of the dam, and construction of access roads and  
14 transmission lines for the proposed project, less so  
15 on downstream effects on these species.

16 MR. WOOD: Okay. Thank you. I mean, I --  
17 the reason why is because you mentioned the belted  
18 kingfisher, and there wasn't enough to talk about or  
19 mention really. But in the Middle River from Portage  
20 all the way down beyond Talkeetna they are abundant,  
21 and same with the mergansers. And the reason that's  
22 important is because they -- they're the ones that  
23 depend on juvenile fish, not insects.

24 So I'm just wondering, you know, at what  
25 point those -- those species are added to your list

1 of observations, because I can't speak for the Upper  
2 River and how much -- how many kingfishers are up  
3 there because of accessibility, but at least in my  
4 neck of the woods they're -- they're prevalent and --  
5 and thick.

6 MR. SCHICK: Yeah. Well, I would believe  
7 that. Again, this study was focused on the Upper  
8 River, and in those stretches the kingfishers were  
9 not abundant, but in the Middle River you have many  
10 more salmon resources and presumably a lot more  
11 juvenile salmon, probably more juvenile trout, and  
12 char, as well, so I could certainly imagine belted  
13 kingfishers being more abundant in that part of the  
14 river.

15 MR. LAWHEAD: Yeah. Mike, this is Brian  
16 Lawhead.

17 Let me clarify that the reason the belted  
18 kingfishers were dropped was specifically for -- as a  
19 target species for tissue sampling for mercury  
20 levels, because the concern for mercury was  
21 accumulation in the reservoir inundation zone, and  
22 there simply weren't enough there to warrant  
23 identification of that as a target species. Other  
24 species were identified as being better candidates  
25 for that sampling.

1 MR. WOOD: Thank you.

2 MR. LAWHEAD: Any other questions?

3 MR. GILBERT: Others, anything else?

4 Okay. I think that was a great  
5 presentation, very thorough.

6 Let's try to take a break now, and maybe  
7 we'll just go on our break until 10:20, twenty after  
8 the hour, and then we'll pick up again, because  
9 we have six studies to deal with the mammals and so  
10 on here before lunch, and we want to make sure we  
11 don't get too far behind. But we can go -- power  
12 into lunch if we have to.

13 MR. LAWHEAD: We'll make -- we'll make it  
14 up.

15 MR. GILBERT: We'll make it up.

16 Okay. So we're going to put you guys on  
17 mute. We're going to go on break, and we'll start up  
18 again at 20 after sharply. Please be back in the  
19 room for that. Thanks.

20 (Midday meeting recess)

21 MR. GILBERT: So we're going to start now  
22 into the mammals. And Mark Burch, you're going to  
23 start us off?

24 MR. BURCH: Yup.

25 MR. LAWHEAD: Yeah. Let me -- let me make

1 a few remarks here. The studies you've heard about  
2 so far were all done by ABR, but the next group is a  
3 mix of studies that were conducted solely by the  
4 Department of Fish and Game or in collaboration with  
5 ABR, and that will be clear as we go through them.  
6 But Mark is going to talk about the moose and caribou  
7 studies, and then there are some other people that  
8 will talk about other species.

9 Take it away.

10 Oh, one other thing I would like to say is  
11 if you haven't -- if you're attending the meeting  
12 here and you haven't signed up outside, please do so  
13 so that we can be sure to get your name spelled  
14 correctly and your affiliation.

15 MR. BURCH: As Brian pointed out, I'm  
16 presenting these for the principal investigator, Kim  
17 King Jones, who is unavailable at the moment.

18 MOOSE DISTRIBUTION, ABUNDANCE, MOVEMENTS,  
19 PRODUCTIVITY, AND SURVIVAL

20 (Study 10.5) - Mark Burch, ADF&G.

21 MR. BURCH: For the moose study, we did  
22 publish an SIR in November. And as far as the work  
23 that we have done, it's been based largely on  
24 collaring both bulls and cows that were collared in  
25 2012 and 2013 for the purposes of monitoring their



1 movements, and that has allowed us to follow  
2 individual animals to look at distribution,  
3 movements, productivity, and survival.

4 We've also done some population assessment  
5 with using a geospatial population estimator  
6 throughout the whole study area in 2013, and we  
7 conducted several population surveys in the  
8 inundation -- the -- what you might think of as the  
9 greater inundation zone. It goes somewhat beyond the  
10 area that would actually be inundated. And those  
11 surveys were done in 2012, 2013, '15 and '16.

12 And then we did a complete browse survey  
13 throughout the study area in 2013 and have  
14 supplemented that with another survey along the  
15 inundation zone in the downstream area in 2016.

16 AEA implemented a variance to the study  
17 plan in 2015 in response to comments received in the  
18 ISR meeting in October of 2014. The concern  
19 expressed had to do with the potential effects in the  
20 downstream area from ice scour and things like that.  
21 And so the study did put a little more focus there  
22 and looking at regeneration of browse species.

23 I'm not going to dwell on the objectives.  
24 They've remained unchanged throughout the course of  
25 the study and have been reported previously.

1           In the status, I went through some of these  
2           components, the -- looking at the movement, the  
3           population monitoring, and some of the important work  
4           with the browse survey work that we've been able to  
5           do as part of the habitat assessment.

6           We did have a variance with the browse  
7           assessment in that we were not able to access all the  
8           CIRWG lands, but we believe that our sampling was  
9           sufficient that we were able to characterize the  
10          browse utilization throughout the study area. And in  
11          addition to that, we're supplementing the information  
12          on browse with a survey completed this year, in 2016.

13          Another variance was to suspend the monthly  
14          monitoring in the winter. We thought that we could  
15          do this because the movements were relatively small  
16          during the late winter months, and so we could still  
17          meet the objectives.

18                   UNIDENTIFIED SPEAKER: You're kind of  
19                   cutting out.

20                   MR. BURCH: Okay. I'll try to --

21                   MR. GILBERT: And somebody has got -- could  
22                   they put their phone on mute? It sounds like wind or  
23                   something that's coming through.

24                   UNIDENTIFIED SPEAKER: Yeah, yeah, that's  
25                   doing it.

1                   MR. GILBERT: Yeah. That -- that will  
2 help.

3                   UNIDENTIFIED SPEAKER: Could we repeat this  
4 last leg because of that wind interference, please.

5                   MR. BURCH: Yeah. The point here -- and  
6 this figure on the left actually shows the ownership  
7 of the lands that were not accessible to us, and so  
8 that was a variance in that we were not able to  
9 access the CIRWG lands but we were still able to  
10 sample browse throughout the study area and meet the  
11 study objectives. And we also added this year a  
12 survey looking at browse in the inundation zone and  
13 then downstream from the dam.

14                   And I also talked about the suspended  
15 monthly monitoring during the winter as a variance  
16 and extending the monitoring through this month,  
17 March of 2016.

18                   In addition, as a result of some of the  
19 previous comments, we deployed 20 additional collars  
20 in the Middle River, added a third late winter  
21 inundation zone survey and conducted a late winter  
22 population survey along the Middle River.

23                   I'm going to follow the lead of others and  
24 not present detailed results. But in this graph you  
25 can see some of the information, as far as the

1 collars that have been put out on bulls and cows,  
2 both VHF, which need to be flown in order to receive  
3 the telemetry and find the animals in GPS, which  
4 are -- give us more regular locations.

5 We've gotten some pretty good movement  
6 information that resulted in this current density  
7 analysis that shows the use at 50, 75 and 95 percent  
8 utilization.

9 We've been able to look at twinning rates  
10 and calf survival, which is another indicator of the  
11 habitat relative to the population of moose on the  
12 land in 2013 and 2014. We've also been able to look  
13 at calf weights on 15-month-old female calves and  
14 15 -- ten-month-old female calves during captures.

15 This map indicates the locations where the  
16 browse study was actually conducted, and it was all  
17 done from helicopter. So you can see there's pretty  
18 good coverage throughout the entire study area, which  
19 includes the inundation zone, the downstream areas,  
20 the -- and the -- all the transmission corridors.

21 We conducted late winter moose surveys in  
22 the proposed inundation zone in 2012 and 2013, and we  
23 actually observed 427 moose in both of those years.  
24 You can see the survey -- the estimates that resulted  
25 from those observations.

1                   And the way -- the reason that the numbers  
2                   are adjusted somewhat is for -- based on the  
3                   sightibility.

4                   A GSPE was conducted in 2013. This is  
5                   where we stratified the area based on the expected  
6                   density of moose, whether it's high or medium low,  
7                   and then conduct surveys in each of those grids. The  
8                   map indicates the survey cell, the cells that were  
9                   actually surveyed.

10                  We've continued the telemetry using the GPS  
11                  collars, and we expected to do that through this  
12                  month, in March of 2016, and also conduct a second  
13                  late winter survey in the middle Susitna River, and  
14                  that has been completed, you know, not yet reported,  
15                  of course.

16                  So the steps to complete the study are  
17                  reporting steps at this point and to continue the  
18                  moose distribution, movements, and productivity,  
19                  survival through this month, conduct a late winter  
20                  inundation zone and downstream surveys, and then  
21                  complete the fine scale browse surveys, as well.

22                  I would be happy to hear any questions or  
23                  comments.

24                  MR. GILBERT: So questions for Mark on  
25                  moose?

1 MS. LONG: I have a question, and should I  
2 go ahead?

3 MR. GILBERT: Sure.

4 MS. LONG: Or I have a comment.

5 This is Becky Long with the Susitna River  
6 Coalition. I just have a few comments.

7 The assessment of the habitat importance  
8 of the infrastructure corridor is a study objective,  
9 and this is really crucial because the existence of  
10 these corridors, you know, they have documented  
11 significant impacts on moose, and in fact, actually  
12 this can be applied to both -- to all -- to all the  
13 large carnivores, the caribou, the sheep, the  
14 wolverine, the bears and the wolves. Especially the  
15 Denali access route that goes up Deadman Creek will  
16 have the most serious impacts on wildlife. And  
17 there's, like, five significant impacts on moose and  
18 other large carnivores.

19 The direct development disturbance  
20 eliminates or changes habitats. There is  
21 behavior-avoidance reactions on the part of the  
22 animals that means further habitat loss. The results  
23 of habitat and population fragmentation can occur,  
24 you know, because of the existence of the corridors.  
25 Increasing an access means increased harvest and

1 disturbance. And then there can be direct mortality  
2 by collisions.

3 And my other -- another comment is that the  
4 ISR kind of treats the moose as one big study  
5 population, but in the 1988 studies they identified  
6 eleven different study populations that had different  
7 migratory behaviors, the extent of their migration  
8 and different habitat use, and they will be impacted  
9 by the impoundment in different ways. And all  
10 this is important when y'all do an impact assessment.

11 And I think -- oh, one question. Are you  
12 going to be able to do a moose browse assessment in  
13 the Cook Inlet Region Working Group lands?

14 Thank you.

15 MR. BURCH: To respond to the question,  
16 yes, we had permission to -- when we conducted the  
17 fine scale browse assessment -- to go on all the  
18 lands in that area, including the Cook Inlet Region  
19 Working Group lands.

20 MR. GILBERT: Any other questions for Mark  
21 on moose?

22 MS. LINGENFELTER: Yes.

23 UNIDENTIFIED SPEAKER: I have a --

24 MS. LINGENFELTER: (Indiscernible -  
25 simultaneous speech) from Ahtna.

1 UNIDENTIFIED SPEAKER: -- (indiscernible -  
2 simultaneous speech). Okay.

3 MS. LINGENFELTER: So on that one slide,  
4 it is mentioned that the winter surveys of the moose  
5 on the river corridor were suspended because there's  
6 little or no movement? River corridor is a very  
7 important area in the late winter, especially when  
8 the snows get really deep. Uplands moose tend to  
9 congregate down there.

10 I was wondering, were you able to collect  
11 any data with the GPS collars as far as how many  
12 moose were down using the river during high snow  
13 time?

14 MR. LAWHEAD: Can you just restate your  
15 name, and Mark will answer.

16 MS. LINGENFELTER: Okay. It's Heide  
17 Lingenfelter with Ahtna Incorporated.

18 MR. GILBERT: Thank you. Appreciate it.  
19 Go ahead.

20 MR. BURCH: Yeah. I just want to clarify.  
21 I may have misstated that a little bit. The  
22 telemetry flights are throughout the study area for  
23 all the moose collared with the VHF collars.

24 And so that was what was -- the time in  
25 between those surveys was extended somewhat during



1 the wintertime. So it wasn't specific to the  
2 riparian area. And of course, we did -- we did  
3 several counts in the inundation zone and now  
4 downstream to look at the number of moose in those  
5 riparian areas.

6 It seemed like there was more to that  
7 question, though.

8 MS. MCGREGOR: He (sic) was asking about  
9 the GPS collars.

10 MR. BURCH: Oh, yeah. Right.

11 The GPS collars, the data comes up and  
12 is -- through a satellite and is available to us. So  
13 we didn't lose anything as far as the GPS collar  
14 data.

15 Thank you for the reminder.

16 MR. LAWHEAD: Yeah. So the GPS collars  
17 work year-round, and it's really fine scale movement  
18 information, but that's on a small number of animals.  
19 That doesn't give you a population estimate, per se.  
20 that's why they did the actual population surveys in  
21 the inundation zone and in the downstream area. So  
22 we got both. You've got -- you've got fine scale  
23 movement information and population estimates, and  
24 that's why that late winter inundation zone survey  
25 was done, specifically to look at how many moose

1 might be using that area that would be flooded.

2 MR. BURCH: Okay. Good --

3 MS. LONG: A follow-up question from Becky  
4 Long.

5 MR. BURCH: Sure, Becky.

6 MS. LONG: I'm confused, probably because  
7 I'm not really smart or something. But before going  
8 out the VHF collared moose tracking in December,  
9 January, February and April, I -- could you explain  
10 that a little bit? Because that's like 62 percent  
11 of the collars, and I just wondered if -- you know,  
12 62 percent of the collars, and is it -- wouldn't that  
13 kind of introduce the bias of underestimation of  
14 animal use because it's a much smaller sample to  
15 capture their range?

16 The 1988 Ballard and Whitmore study  
17 concluded that the lowest elevation lands near the  
18 Susitna River, which are the Cook Inlet Region  
19 Working Group lands, are the preferred -- are  
20 preferred by moose in the winter, and it -- it is  
21 true that those times are when the moose move less,  
22 but it is also the time of year when they are  
23 stressed by browse availability and other stresses.  
24 So I'm just kind of confused about that.

25 MR. BURCH: Yeah. I think riparian areas

1 are recognized as important for moose in the  
2 wintertime, and we have a pretty good handle on that  
3 based on the counts that we've done, as well as the  
4 browse assessment, specifically in the river  
5 corridor.

6 MS. MCHENRY: This is Ruth McHenry with  
7 Copper Country Alliance.

8 In the course of your studies, did you  
9 observe any moose reactions to Air Force jets?

10 MR. BURCH: I'm not aware of any  
11 observations of reactions of moose in these studies  
12 to Air Force activity at all. It would be difficult  
13 with this study, though, to pick up on that kind of  
14 thing because we're observing moose for a very short  
15 period of time, only during a few counts that we did.

16 MR. WOOD: This is Mike Wood with Susitna  
17 River Coalition.

18 I just wondered when -- when you'll be  
19 taking the collars off the moose in the Middle River,  
20 what that time frame looks like.

21 They're starting to herd up now, and there  
22 were four in front of my house this morning, and one  
23 of them had a collar. I'm just wondering about when  
24 do they get to lose their hardware.

25 MR. BURCH: Well, depending on how you look

1 at it, that could well be one of the spinoff benefits  
2 of the work that AEA has funded with Fish and Game,  
3 is that we'll continue to use those collars to form  
4 our understanding of the population and the use  
5 of the habitat in the area.

6 As I mentioned, we can use it for -- use  
7 collars for twinning assessment, which is an  
8 indication of the quality of the habitat versus the  
9 number of moose on the -- on the ground. And so the  
10 Department of Fish and Game will continue to utilize  
11 those collars.

12 MR. WOOD: Thank you.

13 MR. GILBERT: Okay. Maybe we can go on to  
14 caribou.

15 MR. LAWHEAD: Yeah. If there are no  
16 further questions, we'll move on to Study 10.6,  
17 caribou. And Mark will also do that one.

18 MR. GILBERT: Okay. Maybe we can go on to  
19 caribou.

20 MR. LAWHEAD: Yeah, if there are no further  
21 questions, we'll move on to Study 10.6, caribou, and  
22 Mark will also do that one.

23 MR. BURCH: The question is whether I can  
24 find the presentation.

25 (Off-the-record discussion)

1     ///

2     ///

3             CARIBOU DISTRIBUTION, ABUNDANCE, MOVEMENTS,  
4                     PRODUCTIVITY, AND SURVIVAL  
5                     (Study 10.6) - Mark Burch

6             MR. BURCH:  Again, I'm presenting this  
7     report for Kim King Jones, who is the principal  
8     investigator.

9             With the caribou study, we again collared  
10    bulls and cows, both, in 2012, and redeployed collars  
11    as necessary throughout the study.  We documented  
12    distribution, movements, productivity, and survival  
13    through 2015.

14            One of the aspects of this study is to try  
15    to get a better handle on the migration and herd  
16    delineation of caribou using the area.  And we tended  
17    to think of them as the eastern migratory group and  
18    the western group when we were deploying the collars  
19    and doing the analysis to -- to date.  As we move  
20    forward, we may end up learning things that cause us  
21    to look at those things differently, but that's how  
22    we're doing it.

23            Again, the objectives have been consistent  
24    throughout the time period of the study.  I'm not  
25    going to read all these to you, but...

1           Again, this -- with caribou, the deploying  
2 collars, both VHF and GPS, was very important for the  
3 monitoring of the movements, and most of that  
4 information has been reported in previous ISRs.

5           Technically we have a variance in the way  
6 that we've referred to the components of the herd.  
7 Looking at, as I mentioned, rather than the Nelchina  
8 and the Deltas, looking at western -- the western  
9 group and the eastern migratory group. But most  
10 movement data will actually be used to determine the  
11 herd designations.

12           We conducted calving surveys, May 25th  
13 through June in 2013 through the fifth -- 2015. And  
14 this allowed us to look at productivity, and then  
15 early calf survival.

16           This again is a table of results. I'm not  
17 going to present the details of the results, but you  
18 can see the numbers of both bulls and cows that were  
19 collared with VHF and GPS collars.

20           Again, we've been able to do some kernel  
21 density graphics to indicate at the 50, 75 and 95  
22 percent utilization distribution contours.

23           This map is for the GPS collars. And, of  
24 course, the previous one here is for the VHF collars.  
25 So you can see the GPS collars could provide finer

1 scale movement information, but they -- it's -- with  
2 more regular reporting, which is helpful, over a  
3 broader range.

4 We had modifications proposed in Part C  
5 of the ISR and implemented those in 2013 and carried  
6 forward to 2015.

7 You can see there was some variation in  
8 migration patterns from year to year, which is not  
9 unusual for caribou, and so it was helpful that we  
10 had a -- more than one year of migration data there.

11 The steps to complete the study are to  
12 write the SCR, the Study Completion Report. We have  
13 quite a bit of data analysis to finish up, and the --  
14 to look at the distribution movements of both cows  
15 and bulls from those two different groups, the  
16 western group and the eastern migratory group.

17 Are there any questions or comments?

18 MS. LONG: This is Becky Long from SRC.

19 Can I make comments?

20 MR. GILBERT: Yes.

21 MR. BURCH: Sure.

22 MS. LONG: Okay. I have four basic  
23 comments, and some of it is -- I just want to get in  
24 the public record.

25 The first one is the ISR study, you know,

1 as you said, divides the herds into eastern and  
2 western migratory groups. But I think there needs to  
3 be a -- to be identification of the small Chulitna  
4 Hills group, which is likely to be impacted most by  
5 the project, especially if the Denali West option is  
6 chosen. Also, there is a small herd that is centered  
7 around Cantwell, and it will also be affected by the  
8 Denali West option.

9 The proposed dam project is only one  
10 development effort that may occur on the Nelchina  
11 caribou range. Other human intrusion efforts need to  
12 be considered for their cumulative impacts. And I  
13 guess that would be in the draft licensing and in the  
14 NEPA process, but I would like to get them in the  
15 public record.

16 We have the mineral exploration drilling  
17 project that -- &G Mineral Exploration (ph) has done  
18 exploratory drilling on land south of the Susitna  
19 River, drilling rock core samples, and they have been  
20 doing this in the northern part of the traditional  
21 Nelchina herd calving area. The Talkeetna Mountain  
22 calving grounds are considered the most important  
23 single geographic area to the herd.

24 We have the joint Pacific Alaska Range  
25 Complex, or JPARC. The fox 3 and Paxton military



1 operation areas called MOAs. The fox 3 MOA expansion  
2 and the Paxton MOA addition are well-defined actions  
3 for the JPARC master plan by the Air Force. This  
4 means vertical and horizontal airspace of 500 feet to  
5 5,000 feet will be used for training exercises.  
6 Subsonic noise level, fox 3 is up to 50 dB's, for the  
7 Paxton be up to 54 dB's. The average number of sonic  
8 booms per training day could be 5.2. The emissions  
9 and pollution from chaff and flare use are a  
10 consideration.

11 And local ecological knowledge and from  
12 hunters has said that the -- that the caribou herds  
13 are more fractured lately, whereas in the tier two  
14 hunting days hunters would see bands of caribous, but  
15 now they often see single caribou, and they looked  
16 panicked.

17 The hunting pressure is overwhelming. The  
18 use of ATV vehicles penetrate further into the remote  
19 areas. The gravel pit at the Susitna River drains  
20 on the Denali highway. It's -- during hunting season  
21 there's mass motor homes, campers and ATVs,  
22 testifying to the large amounts of people in the  
23 area. According to the local hunters, the Nelchina  
24 caribou herd has hunting pressure like never before.  
25 The general area around and adjacent to both the

1 Denali East and Denali West has been characterized as  
2 a war zone.

3 Another comment is that the 2011 Schwanke  
4 caribou survey and inventory report stated that large  
5 numbers of Nelchina herds have spent late summer and  
6 winter in the Watana Creek area in recent years. A  
7 major concern is that females trying to cross the  
8 impoundment area during the spring migration to  
9 calving ground, that's a major concern.

10 I made reference to the well-known incident  
11 in the Quebec Labrador Peninsula area in September,  
12 1984, of the death of 10,000 caribou. The exact  
13 cause of the death is unknown, but the filling of the  
14 reservoir on the Caniapiscaw River from 1981 to '84  
15 was thought to be involved.

16 It's important to provide data for the  
17 impact assessment that showed caribou made  
18 wide-ranging migrations that can shift after a few  
19 decades because of changes in the rain conditions,  
20 the deterioration in the rain conditions.

21 For instance, in the 1968 study, they show  
22 that the impoundment area in the Chulitna Mountains  
23 north were more heavily used by the Nelchina than was  
24 shown in the 1987 study. But in recent years they're  
25 using impoundment area in the northern part of the

1 project area. So project infrastructure and  
2 reservoir directly will be, you know, encountered by  
3 them.

4 I guess just -- just to sum up, to say  
5 caribou need large areas in which to survive in large  
6 herds.

7 MR. GILBERT: Okay. Thanks for that input.  
8 Let's keep moving if we can. Other  
9 questions about the study for caribou for Mark?

10 MS. McCRACKEN: I have a question.

11 This is Betsy with Fish and Wildlife  
12 Service. And I'm just wondering if the study is  
13 looking at all, or integrating at all with the --  
14 with the climate change or the ice processes studies  
15 related to the reservoir and the caribou migration.

16 MR. GILBERT: So Betsy is asking about the  
17 relationship from Fish and Wildlife Service,  
18 relationship of this study to the climate change  
19 aspect.

20 MS. McCRACKEN: If it at all had been --

21 MR. BURCH: I wouldn't --

22 MS. McCRACKEN: -- (indiscernible -  
23 simultaneous speech).

24 MR. BURCH: I wouldn't say there is a  
25 direct connection. I mean, climate change could

1 affect everything, so...

2 MS. McCRACKEN: Right.

3 MR. BURCH: But we're not -- we don't have  
4 a specific objective or anything that relates to  
5 climate change.

6 MS. McCRACKEN: Okay.

7 MR. BURCH: I think the ice survey, which  
8 it's my understanding is mostly downstream of the  
9 inundation zone, may be informative. And then we've  
10 thought of it, and especially in terms of its  
11 connections to the moose study more so probably than  
12 caribou, but they could both come into play.

13 MS. McCRACKEN: I didn't get a good look at  
14 the pathway slide to see if -- you know, where that  
15 was in relation to the -- like, where is it?

16 MR. BURCH: It's pretty --

17 MS. McCRACKEN: Is the -- where is the  
18 reservoir there?

19 MR. BURCH: Reservoir would be right there.

20 MS. McCRACKEN: Oh, yeah.

21 MR. BURCH: The blue here.

22 MS. McCRACKEN: Okay. I see it.

23 MR. BURCH: Yeah.

24 MS. McCRACKEN: Okay. Okay, great. Thank  
25 you.

1 MS. MCGREGOR: I just want to clarify  
2 something Mark said. The ice processes study looks  
3 at ice processes below the dam, but the EFDC model in  
4 the water quality study is where they're going to  
5 model ice processes within the reservoir, and that  
6 will be taken into account in the impact assessment  
7 in trying to look at the effects on caribou.

8 MS. MCCRACKEN: Okay.

9 MR. GILBERT: Okay. If there's no more on  
10 caribou, let's shift gears to the Dall's sheep, which  
11 will be --

12 MS. LINGENFELTER: I have one last question  
13 about the study. I have not been able to find where  
14 it is posted on the website.

15 MR. LAWHEAD: There was no study  
16 implementation report done for this, so it's the  
17 ISR -- I don't think we can go back -- oh, here.  
18 Okay. If we can go back to the listing, the status  
19 slide.

20 So the reports that have been done so far  
21 on this were the initial study report in June of 2014  
22 and then this PowerPoint. There was no study  
23 implementation report done on this study because  
24 it's --

25 MS. LINGENFELTER: Do you have a projected

1 date when it will be completed?

2 MR. LAWHEAD: Later this year. I don't  
3 know the...

4 MR. BURCH: By July 1st.

5 MR. LAWHEAD: Did you hear that? It was by  
6 July 1st it's scheduled.

7 MS. LINGENFELTER: Thank you.

8 MR. LAWHEAD: Yes.

9 And that -- was that Heide?

10 MS. LINGENFELTER: Yes, it was.

11 MR. LAWHEAD: Okay.

12 MR. GILBERT: Okay. We'll go to the Dall's  
13 sheep, which is a study completion report.

14 MR. LAWHEAD: Okay. Writing -- writing  
15 notes, but I'm also supposed to be talking.

16 This Study 10.7 was one of the studies that  
17 was done collaboratively by Department of Fish and  
18 Game and by ABR. I'll start off on it, and Alex  
19 Prichard will talk about it. And if we have  
20 questions about Fish and Game's aspect of it, they  
21 can put Mark on the spot again.

22 DALL'S SHEEP DISTRIBUTION AND ABUNDANCE

23 (Study 10.7) - Alex Prichard, ABR

24 MR. LAWHEAD: Okay. This is not a very  
25 involved study, a fairly simple work that was done

1 over a period of two years. Or three years,  
2 actually. The study report, the initial study report  
3 was filed in June 2014, and the study completion  
4 report was filed in November 2015. The study is  
5 considered to be complete. Based on two years of  
6 observations at mineral licks in the -- in the study  
7 area north of the reservoir inundation zone, two  
8 years of aerial surveys of populations in the  
9 mountains in the area, and an analysis of historical  
10 data.

11 The objectives are fairly simple. Looking  
12 at population size, that was based on the aerial  
13 surveys, and also the delineation of summer range was  
14 drawn from the aerial surveys. And then the mineral  
15 lick work was done through direct observations and  
16 camera monitoring on the ground.

17 So the conditions in 2014 were not suitable  
18 for aerial surveys because of persistent snow cover  
19 into the summer. So the second year of surveys was  
20 done in 2015. The first year of surveys was done in  
21 2013.

22 The intention was to survey the entire  
23 study area, but due to a little human error, a small  
24 block of the study area was missed in the 2015  
25 survey, and it's shown on the -- on the maps that

1 we'll look at in a moment.

2 The other variance was that the initial  
3 study plan did not call for the use of time-lapse  
4 cameras, but we wanted to try and get a little bit  
5 more information over a longer time period during the  
6 time of the year when the historical observations  
7 suggested use of the mineral licks peaked, so we  
8 deployed a time-lapse camera at the Jay Creek lick in  
9 2013 and 2014.

10 I won't go into too much detail here.

11 You know, there were -- there were three  
12 areas of concentration found. Most of the sheep were  
13 West or south of the proposed inundation zone. The  
14 smallest number was found in the mountains just  
15 on the north of the inundation zone, which is where  
16 the two licks are located. The licks were observed  
17 in May and June of 2013 and 2014. Not many sheep  
18 were seen at either lick in 2013, and even fewer in  
19 2014. This is lower numbers than were seen in the  
20 '80s, but the number of sheep using the area is also  
21 lower than in the 1980s.

22 So you can see here the -- here's the  
23 reservation -- reservoir inundation zone, and this is  
24 the Watana Creek Hills area. This is where there  
25 were about 41 sheep found in 2013, or seen in 2013.



1                   This is the West Kosina Hills. It's the  
2 second largest number. Then the largest numbers were  
3 up here in the -- in the Chulitna Mountains.

4                   And the licks, mineral licks are here, the  
5 Jay Creek lick and the Watana Creek lick. And during  
6 a course of observation in 2013, we also saw a small  
7 lick across the valley from Watana Creek lick.

8                   This is a density map, contour map, showing  
9 the summarized results of the 2013 aerial surveys.  
10 You can see the densest populations are to the  
11 northwest and south of the reservoir zone, with the  
12 fewest numbers in the Watana Creek Hills.

13                   And this is a simple graph. This was  
14 showing the time-lapse camera results from two zero  
15 up to five sheep in that month-long period or  
16 three-week period in 2013.

17                   2014, we only did the mineral lick work  
18 again. Again, the aerial surveys couldn't be  
19 completed that year due to persistent snow. And so  
20 nine sheep at the Watana lick, none at the Jay Creek  
21 lick, but on the time-lapse cameras only three sheep  
22 were seen at a time on any given day in the -- in the  
23 period of time-lapse camera monitoring.

24                   In 2015, late July, early August, the  
25 aerial, second aerial survey was done, and a bit

1 fewer sheep were seen. About ten percent fewer sheep  
2 were observed. And the number in the Watana Creek  
3 Hills was a little bit lower even than -- than two  
4 years before.

5 Again, not many sheep -- fewer sheep seen  
6 and less activity at the Jay Creek lick in 2014.

7 The basic pattern of results from 2015 was  
8 similar to 2013 in terms of the -- the distribution  
9 of sheep densities observed on those surveys.

10 So no modifications are proposed going  
11 forward because this study is complete.

12 And we'll take any questions or comments.

13 MR. GILBERT: Questions?

14 MR. RYCHENER: Tyler Rychener with Louis  
15 Berger, contractor for FERC. I just have a quick  
16 question.

17 The time-lapse camera for the mineral lick  
18 at Jay Creek, I think you had a sample picture up in  
19 the presentation. Was that before or after the  
20 camera was knocked? I think there was something in  
21 the report about it being knocked out of place by a  
22 bear or something one day after it was --

23 MR. LAWHEAD: Yeah. Well, it was --

24 MR. RYCHENER: -- (indiscernible -  
25 simultaneous speech).

1           MR. LAWHEAD:  -- not one day but it was --  
2    it was sort of modified twice by a bear.

3           MR. RYCHENER:  Okay.

4           MR. LAWHEAD:  But it didn't get knocked  
5    off, just tilted, so the observer had to...

6           MR. RYCHENER:  Oh, okay.  So it wasn't  
7    just, like, shifted to a different view or anything?

8           MR. LAWHEAD:  No.

9           MR. RYCHENER:  Okay.

10          MR. LAWHEAD:  No, you could still see the  
11   lick but...

12          MR. RYCHENER:  Okay.  Thanks.

13          MR. LAWHEAD:  It was just disturbing to  
14   look at.

15                 The second year it didn't -- nothing messed  
16   with it.  We put the camera in the same place, not  
17   having learned our lesson apparently.

18                 Okay.  Any other comments or questions?

19          MS. LONG:  Yes.  This is Becky Long again.

20                 I just think it's important to note that  
21   the Denali route will go through the sheep range.  
22   And as you guys said in the Study Completion Report  
23   that there's been a general decline in sheep numbers,  
24   which you all postulated is due to severe winters,  
25   and I think it's really interesting.

1                   I saw in the ADN that the Anchorage Fish  
2                   and Game Advisory Committee are meeting on April 5th  
3                   to discuss research on the declining population of  
4                   Dall's sheep in Southcentral. The numbers in Chugach  
5                   State Park and the northern Chugach Mountains are  
6                   down from about half of the population from 25 years  
7                   ago.

8                   And I just wonder, could you offer up some  
9                   reason? Is the severe winter reason that you guys  
10                  said in the study what you're thinking? Or do you  
11                  have any other ideas why the numbers are less?

12                 MR. LAWHEAD: I'm pointing -- pointing at  
13                 Mark.

14                 MR. BURCH: I can talk about it for a  
15                 minute and a half. And that is that, for one thing,  
16                 sheep die from a lot of different causes, and -- and  
17                 sometimes they're not, of course, even born because  
18                 of lack of pregnancy. So productivity is important,  
19                 cause of death is important, and those things vary  
20                 greatly from year to year and from range to range.  
21                 And so the bottom line is it's really hard to  
22                 speculate, unless we're doing a concerted study at  
23                 the time to document, A, that there was an actual  
24                 decline in the sheep population. Which I wouldn't  
25                 even necessarily say that just from two counts that

1       were out there. They're indices of the population  
2       but they're not an exact count of every sheep that's  
3       out there.

4                   Unfortunately there are sightability  
5       difficulties and things like that. So the first  
6       thing is whether there's been a decline, and the  
7       second thing would be what could cause it. And some  
8       of the studies in some areas show a tremendous number  
9       of different causes of death; everything from  
10      avalanches to various predators; and icing can be a  
11      problem for sheep, but it's pretty hard to say  
12      definitively what the cause of a specific decline  
13      might be unless you're out there observing it at the  
14      time.

15                   MR. LAWHEAD: Yeah.

16                   And Becky, this is Brian again. As you're  
17      probably aware, the ISR went into some detail on the  
18      historical surveys, and I think it had a good summary  
19      of the historical counts there. But you're right,  
20      the population does appear to have declined over  
21      time.

22                   MS. LONG: Thank you.

23                   MR. LAWHEAD: Okay. Any other questions or  
24      comments before we move on?

25                   All right. Hearing none, we'll move on to

1 Study 10.9, which will be discussed by Kevin Colson  
2 of the Department of Fish and Game.

3 Take a moment to get the talk set up.

4 WOLVERINE DISTRIBUTION, ABUNDANCE,  
5 AND HABITAT OCCUPANCY

6 (Study 10.9) - Kevin Colson, ADF&G

7 MR. COLSON: Just to review, the  
8 wolverines -- the wolverine study submitted an ISR in  
9 June 2014, and we have submitted our SCR in November  
10 of 2015. The study at this point is essentially  
11 complete.

12 Here are the objectives again. You've seen  
13 this before at the previous ISR meeting.

14 The components to address those objectives  
15 include the conduction of a SUPE and occupancy model  
16 survey -- occupancy surveys, occupancy modeling, and  
17 then an analysis of their habitat, occurrence and  
18 distribution.

19 There were two variances in this, the first  
20 being that the study area had to be modified for  
21 purposes of the SUPE. This is partially due to  
22 violations of survey conditions, especially in the  
23 southern portion of the study area. But in the  
24 northern portion of the study area, those areas had  
25 to be removed because they posed a hazard to

1 navigation. However, despite these, we were able to  
2 complete the SUPE survey, and one of the largest ones  
3 to date.

4 We did not perform multiseason occupancy  
5 modeling. Recent research has brought to light the  
6 fact that occupancy modeling requires far more  
7 sessions and more survey effort than was previously  
8 appreciated in order to index changes in population  
9 abundance with any real statistical power. Occupancy  
10 modeling was abandoned in favor of the SUPE, which  
11 gives you true abundance as opposed to an index of  
12 abundance.

13 Our accomplishments. We conducted the SUPE  
14 in 2015; we produced a density estimate for the area;  
15 the adjusted lower limit -- worth explaining for a  
16 moment there. That is the minimum number of  
17 wolverines seen. However, since you could see that  
18 some of the tracks extend outside of the study area,  
19 then those -- the number of wolverines was weighted  
20 by how much of the track was inside versus outside  
21 of the study area.

22 Wolverines were widely distributed  
23 throughout the study area. We examined habitat  
24 associations and found it similar to those observed  
25 in the previous work by Ballard. In general, they --

1 they occurred more in forested habitat than in open  
2 habitat.

3 We supplemented the track data -- track  
4 data from the SUPE survey with findings from 10.10,  
5 the terrestrial furbearer report. This provided a  
6 longer term view of a smaller area, whereas the SUPE  
7 provided data on a larger area but a snapshot in  
8 time.

9 There are no modifications for the study,  
10 as the study is complete.

11 And the study is complete.

12 MR. LAWHEAD: This is Brian. I just wanted  
13 to -- a little point of information. The reason it  
14 took several years to get the SUPE done was because  
15 it requires the occurrence of suitable snow  
16 conditions, tracking conditions. So it's not a slam  
17 dunk that you can do it in any given year. In fact,  
18 it took three years to get it done.

19 MR. COLSON: Correct.

20 MR. LAWHEAD: Any questions or comments?

21 MS. LONG: This is Becky again. Sorry to  
22 bother you guys, but I just wanted to -- so was it  
23 2014 that there wasn't the snow cover up there? I'm  
24 just curious.

25 MR. COLSON: In both 2013 and 2014, the



1 period in which you would want to be doing a SUPE  
2 didn't have sufficient snow cover.

3 The SUPEs require both -- a particular  
4 amount of snow to cover the low vegetation to allow  
5 you to detect the tracks with high probability; in  
6 addition, afterwards you need an additional dusting  
7 of snow to cover up old tracks. So this is a very  
8 specific pattern, weather pattern. So even in high  
9 snow years you might not achieve it. However, in  
10 2014 we were able to get the sufficient snow pack and  
11 then the subsequent covering.

12 MS. MCGREGOR: In 2015?

13 MR. COLSON: 2015, I beg your pardon.

14 MR. LAWHEAD: Right. So it requires a  
15 fresh snowfall, and then you do the survey in the  
16 period in the days just immediately following the  
17 fresh snowfall. And conditions in 2014 were  
18 difficult for the -- for the tracking.

19 You know, this requires a -- how many  
20 airplanes did you use?

21 MR. COLSON: A very large number. Eight, I  
22 believe, or seven.

23 MR. LAWHEAD: Yeah. So you have to have  
24 snow cover over the entire area, and you've got  
25 to have just kind of the perfect conditions, and they

1 seldom occur.

2 MR. COLSON: And a small fleet of aircraft.

3 MS. MCGREGOR: And biologists.

4 UNIDENTIFIED SPEAKER: Right. A fleet of  
5 them, too.

6 UNIDENTIFIED SPEAKER: And wolverines.

7 MS. MCGREGOR: Yes, and wolverines.

8 MS. LONG: And just a -- just a quick  
9 follow-up is -- so you said that your findings  
10 confirm with the findings from the 1980s studies?

11 MR. COLSON: Yes, both in terms of the  
12 elevational distribution of wolverine occurrence; so  
13 what elevations the wolverines were using during that  
14 late -- mid, late winter period, and also in what  
15 habitats tracks were occurring in.

16 MS. LONG: The '80s, they actually radio  
17 collared wolverines?

18 MR. COLSON: Correct.

19 MS. LONG: Thank you.

20 MR. GILBERT: Any other...

21 MR. WOOD: This is Mike. Mike, the Susitna  
22 River Coalition.

23 Just -- just observation is over the last  
24 few years there seems to be a larger number of tracks  
25 out there, especially this year, and observations.

1 So does that correspond to what you guys were seeing?

2 MR. COLSON: Correct. The -- there is no  
3 previous wolverine density estimate for that area.  
4 There is a density estimate for an area further south  
5 that has more trapping effort. So it's a difficult  
6 comparison to make there. But despite that,  
7 this is -- we estimated a very large number of  
8 wolverines.

9 MR. WOOD: Thank you.

10 MR. LAWHEAD: Any other comments or  
11 questions?

12 All right. Hearing none, we'll move on to  
13 Study 10.17, which will be presented by Rick Merizon  
14 of ADF&G from Palmer.

15 POPULATION ECOLOGY OF WILLOW PTARMIGAN

16 IN GAME MANAGEMENT UNIT 13

17 (Study 10.17) - Rick Merizon

18 MR. MERIZON: So, yeah, again, I'm Rick  
19 Merizon with Fish and Game, a small game biologist  
20 based in Palmer, and I'll be presenting the latest on  
21 Study 10.17, willow ptarmigan.

22 So the -- we have completed the ISR, but  
23 we have not completed an SIR or SCR for this project.  
24 We still have -- we're still completing aerial  
25 surveys, aerial telemetry surveys for this project,

1       although all the fieldwork is done.

2                   Beginning back in the spring of 2013 and  
3       late summer for 2013, 2014, 2015, we applied VHF  
4       radio necklace collars on willow ptarmigan. We also  
5       completed aerial transect surveys, and then monthly  
6       aerial telemetry surveys to locate those collared  
7       birds.

8                   The objectives have been unchanged, and  
9       much like previous presentations, I'll just breeze  
10      over this, save a little bit of time.

11                  We do have a couple variances I just wanted  
12      to point out. As we've heard several times today,  
13      the spring of 2013 was very problematic for sciences  
14      trying to get out in the field. We had very late  
15      snow melt, very persistent snow pack, and as a result  
16      we deployed fewer radio tags in the spring of 2013.  
17      We also, as a result of that, were unable to visit  
18      several of our proposed capture sites. We did,  
19      however, add the Denali Highway capture location.

20                  We also admittedly -- see my Achilles heel  
21      here. We -- this was a relatively new concept for  
22      Fish and Game in terms of trying to capture  
23      radio-collared ptarmigans, so we went into the study  
24      knowing that several methods would work, but we also  
25      discovered that mist nets proved to be very

1       successful after talking to some colleagues in  
2       Scandinavia, and we added that as a variance, as  
3       well, to the project.

4               The aerial transect flights were not  
5       completed in March of 2013, and we moved the  
6       September 2013 transect flight to actually January of  
7       2014, and that was largely the result of snow cover.

8               We don't have any major results to report,  
9       other than just our summary statistics, and that is  
10      that we've deployed approximate -- well, we've  
11      deployed 243 radio collars to date. All of our  
12      collared deployments are complete as of August of  
13      2015, this year. We deployed them both on breeding  
14      male and female willow ptarmigan, as well -- as well  
15      as juvenile male and female willow ptarmigan in  
16      August at five different capture locations.

17              The January -- the transect flights, aerial  
18      survey -- or excuse me, the transect flights in  
19      January 2014 and March of 2014, we observed  
20      exceedingly few flushes. In fact, so few that --  
21      this is a great segue into our modifications. For  
22      our models to work, we need far more flushing  
23      observations than we had at both -- during both of  
24      these events.

25              So I will jump right into the

1 modifications, and specifically about our aerial  
2 transect flights. We decide -- because of the -- the  
3 lack of observations as a result of our flushing  
4 technique, we decided to cancel that portion of our  
5 project and instead allocated those resources into  
6 our aerial telemetry surveys, which would boost our  
7 movement and mortality models.

8 We also added Butte Creek and Deadman Lake  
9 as additional capture sites in 2014.

10 In terms of the progress since the ISR, as  
11 I said, we've completed all of our capture work as of  
12 August of 2015. We did recapture and recollar some  
13 birds that had previously been on the air for  
14 other -- in 2013 and 2014, and we -- we improved  
15 considerably each year with our capture abilities. I  
16 think we caught about 41 birds in 2013, 90 in 2014,  
17 and 117 in 2015. So we improved our technique  
18 considerably and as a result were able to meet the  
19 collaring objectives for the last two years.

20 As far as steps to complete the project, as  
21 I said, all of our capture data -- all of our capture  
22 fieldwork is done. We're completing aerial transect  
23 surveys this month, April and May of 2016, and then  
24 all fieldwork will cease and we'll begin analyzing  
25 the telemetry data. We actually have already begun.

1 I should mention, too, we've got a graduate  
2 student at the University of Alaska-Fairbanks who's  
3 taking the lead on the data analysis right now. So  
4 we'll get into that 100 percent here shortly.

5 So that's -- that's the update. I'm happy  
6 to take any questions.

7 MR. GILBERT: Questions for Rick on  
8 ptarmigan?

9 UNIDENTIFIED SPEAKER: None?

10 MR. MERIZON: Everybody is ready for  
11 lunch.

12 MR. GILBERT: No questions? Okay.

13 MR. LAWHEAD: Rick's disappointed.

14 MR. MERIZON: No, I'm not. No, I'm not.

15 MR. GILBERT: Must be going good.

16 MR. WOOD: You want a comment? I can give  
17 you one. This is Mike.

18 Deadman Creek, I'm glad you added that.  
19 It's -- there are a lot of ptarmigan out there.

20 MR. LAWHEAD: A high five for Rick.

21 UNIDENTIFIED SPEAKER: High five.

22 MR. GILBERT: Okay. We'll go to 10.10,  
23 furbearers.

24 TERRESTRIAL FURBEARER ABUNDANCE AND HABITAT USE  
25 (Study 10.10) - Brian Lawhead, Alex Prichard

1                   MR. LAWHEAD: This study was done by some  
2 folks at the Institute of Arctic Biology at the  
3 University of Alaska in Fairbanks. It's a graduate  
4 master's program, and he has since graduated, and the  
5 professor has moved to the University of Washington,  
6 so I get to present the talk.

7                   Between me and Alex Prichard and Kevin  
8 Colson, I think we can handle the questions, but if  
9 there are questions or comments that we are unable to  
10 address, we can -- I'm pretty sure that Laura, Laura  
11 Prugh would still be happy to provide us with  
12 information for any further needs.

13                   Again, like the others, this is a Study  
14 Completion Report, and like the other Study  
15 Completion Reports it was filed in November.  
16 Previous initial study report was -- was filed in  
17 June 2014.

18                   Data collection was completed in 2014, so  
19 it was two winter seasons of work, January to April  
20 in 2013 and 2014 for the actual furbearer work, and  
21 then in the summer of 2013 and 2014 -- and actually a  
22 little bit in 2012, there was some prey abundance  
23 monitoring.

24                   The genetic analyses were completed in  
25 2015, before the Study Completion Report was done,



1 and that's also when spatially explicit furbearer  
2 estimates were generated and occupancy modeling.

3 The objectives were to look at four  
4 species, coyotes, red foxes, lynx and marten, and try  
5 to develop population estimates, and then to assess  
6 the general abundance of prey species in the area,  
7 and to look at habitat use information.

8 The work consisted of sample collection in  
9 the winter of scat and hair samples. And basically  
10 these were done along transects, trail transects  
11 established in the study area. It was done by snow  
12 machine. And then the DNA analysis was done on --  
13 on the hairs and scat.

14 Habitat use was based on aerial track  
15 surveys, and then also from some of the tracking,  
16 ground tracking surveys in winter.

17 And then the genetic information was to be  
18 used for capture, mark, re-sighting analysis.

19 Several problems that were related mainly  
20 to access to the area, not just a lack of access to  
21 Cook Inlet Region Working Group lands in 2013, but in  
22 general the difficulty of ground access to all parts  
23 of this very large study area.

24 The first winter's work was based at Alpine  
25 Creek Lodge on the Denali Highway, and so most of the

1 activity, just from a logistical standpoint, had to  
2 be conducted in sort of the eastern half --  
3 northeastern portion of the study area.

4 In neither year was it feasible to do  
5 studies or surveys in the Chulitna or Gold Creek  
6 corridors because of these limitations on access.  
7 And then the Chulitna Corridor was eliminated anyway.

8 In the second winter, the survey area was  
9 expanded somewhat by moving the -- moving the base  
10 camp, which allowed a little bit better access down  
11 into the central part of the study area. However, it  
12 still wasn't really feasible to get, you know, down  
13 into the canyon or south of the river by snow  
14 machine.

15 The hair snags used for -- to obtain lynx  
16 hairs were modified somewhat during the course of the  
17 study, and -- and also they added backtracking to try  
18 and increase the number of hair samples collected.

19 And then the -- the prey sampling grid  
20 design was altered a little bit to try and better  
21 cover the habitats in the area, and also the level of  
22 effort expended in the vole trapping surveys was  
23 shortened. So a larger number of sites could be  
24 sampled with less effort, so -- because of the size  
25 of the study area. And then the vole trapping

1 results were indexed to a longer term study in Denali  
2 Park, which provided good background information  
3 to -- to be able to come up with some estimates of  
4 vole densities.

5 Some other methods were added after the  
6 study plan was finalized and accepted mainly relating  
7 to the occupancy modeling. They tried using  
8 motion-sensing cameras in the occupancy surveys, but  
9 they didn't pan out very well, so that was dropped in  
10 2014.

11 I won't go into this in great detail, but  
12 base -- the basic take-home is that the sample  
13 collection improved in the second year, both for  
14 scats and hairs.

15 Again, I won't go into too much detail  
16 here. The take-home is that in 2013 the number of  
17 hares and voles was lower than in 2014, although hare  
18 abundance was pretty variable across the study area.

19 These aerial track surveys were conducted  
20 in winter 2013 and 2014 on transects that were  
21 established in the 1980s. They were only -- they  
22 were only followed once in 1980, in November, but we  
23 felt it was important to try and, you know, retain  
24 that method for comparison with the historical  
25 information. So these were performed by Laura Prugh

1 on each survey.

2 Again here, the poor snow conditions, only  
3 two surveys were conducted in the winter of 2014, and  
4 one of those the conditions weren't very good.

5 She did, however, detect quite a few tracks  
6 and was able to compile those by transect numbers.  
7 So proceeding from -- from left to right is kind of  
8 going upstream on the Susitna, and you'll see  
9 that the number of marten decreased a bit in the  
10 upper stretches, and the number of lynx increased,  
11 and then we were able to get habitat, general habitat  
12 information from those transects.

13 I don't know if you remember the numbers  
14 from -- well, here it is. It's got both years on it.  
15 You can see the number of scat collected in 2013 was  
16 about 138, and that more than doubled in 2014. The  
17 number of scat that were successfully gene typed from  
18 the DNA analysis was pretty good for red fox and  
19 coyotes. In general the DNA results for lynx and  
20 marten were very disappointing, and they didn't pan  
21 out very well. So the objectives to try and estimate  
22 population densities for lynx and marten could not be  
23 achieved for that reason.

24 Wow, a very busy table. But if you -- if  
25 you study this, you can see that the vole densities

1 went up quite a bit in 2014, and hare densities  
2 average -- actually, looks a little bit lower overall  
3 in 2014. I mean, this whole study was conducted  
4 during a low in the -- in the hare cycle, and even  
5 from the 1980s, the information from the studies that  
6 were done at that time sort of indicated that hares  
7 were not particularly abundant in the study area.

8           The results of the ground-based track  
9 surveys were used to conduct occupancy modeling,  
10 occupancy probabilities were calculated. This is  
11 sort of a relative index of abundance -- or,  
12 probability, rather.

13           Occupancy was compared among different  
14 habitat types; and as expected, lynx and marten tend  
15 to be more abundant in forest habitats.

16           Again, the statistical results for  
17 population estimation could only be followed through  
18 completely for the coyotes and red foxes because  
19 of the DNA results. But the red foxes turned out to  
20 be about four times more abundant than coyotes.

21           Yeah. Actually the corridor is actually a  
22 variance because it was eliminated and the work done,  
23 but no surprise there.

24           So the study is complete. And we'll take  
25 any comments and questions.

1 MS. MCHENRY: This is Ruth McHenry, Copper  
2 Country Alliance.

3 I just had a question about whether you  
4 know if trapping was looked at in -- in this study  
5 area or not.

6 MR. LAWHEAD: One of the other studies in  
7 this -- in this program is a -- is designed to look  
8 at harvest information, harvest analyses, based on  
9 reported trapping results. Now, not all of these  
10 species need to be reported to Fish and Game, they  
11 don't need to be sealed -- what -- help me out  
12 here -- marten do? No? Marten don't? Lynx do?

13 UNIDENTIFIED SPEAKER: Otters do.

14 MR. LAWHEAD: Otters do.

15 Anyway, there was no specific monitoring of  
16 trapline occurrence or distribution in this area. In  
17 general the area is lightly trapped. In fact, the  
18 first year the grad student was working with the --  
19 one of the residents of the northern part of the area  
20 who was actually a trapper in the area, but  
21 I don't think he was trapping that year. At least I  
22 hope he wasn't for the sake of Casey's study (ph).

23 I don't know.

24 Betsy, in any of the other studies, are  
25 they -- have they been mapping traplines or anything

1 like that at all?

2 MS. MCGREGOR: Well, there's the  
3 subsistence study, so they do look at anything that  
4 was harvested from a subsistence perspective.  
5 There's the recreational study, and they look at any  
6 of that -- those types of activities from that  
7 perspective, as well.

8 MR. LAWHEAD: Right.

9 So it's more of a, I think, a general  
10 assessment than, you know, specific -- oh, I mean,  
11 trap -- information on traplines and trapping effort  
12 is protected under state regulations. I mean, that's  
13 information that is not generally available. But the  
14 general idea of being able to get a handle on how  
15 much trapping occurs in the area has been recognized  
16 as being of importance in several studies on trying  
17 to get an idea of how many animals are trapped in the  
18 area. But in general, compared to certain other  
19 areas, I can tell you that the trapping pressure in  
20 this area is pretty -- pretty light, at least away  
21 from the Denali Highway.

22 MR. WOOD: This is Mike Wood.

23 (Indiscernible - telephonic interference.)

24 MR. LAWHEAD: Yes. Go ahead.

25 MR. WOOD: A couple of questions. One is:

1       Were you able to access the area between Devils  
2       Canyon and the Oshetna River to study those animals  
3       for traps or whatnot?

4               MR. LAWHEAD:   So you mean in general on  
5       either side of the river or you mean on the south  
6       side of the river?

7               MR. WOOD:   Yeah.   Yeah.   In Devils Canyon  
8       and all the way up to the Oshetna River, that whole  
9       river corridor, were you able to access that?   I know  
10      that it's private property because of CIRWG, but  
11      were you physically able to get down there to make  
12      observations?

13              MR. LAWHEAD:   Not on -- not on the ground.  
14      The ground activity was sort of limited to the area  
15      from, like the area, southern part of the Denali  
16      Corridor and upstream.   But the aerial track transect  
17      surveys did cover the entire -- that entire stretch,  
18      yes.

19              MR. WOOD:   Okay.   It's really difficult to  
20      get down to that river corridor, so I understand  
21      your -- your problems.

22              Historically, there was trapping out at  
23      Stephan, and the populations were quite -- quite good  
24      in that lower valley there.   Although I agree with  
25      you, I don't know anybody currently trapping down



1       there.  But it's -- it is excellent habitat.

2                   MR. LAWHEAD:  Right.

3                   MR. GILBERT:  Anything for Brian?

4                   MR. LAWHEAD:  No other questions?  If not,  
5       we need to discuss what we're going to do here.

6                   I don't know -- Becky or Mike, do you know,  
7       is Sterling Miller planning to participate for the  
8       large carnivore study this afternoon?

9                   MR. WOOD:  This is Mike.  That's another --  
10       maybe a question for another person, as well.  But  
11       we -- Sterling Miller has been consulted on this, and  
12       we plan on submitting written comments in June from  
13       Sterling.  I'm not sure he will be there in person  
14       today.

15                   MR. LAWHEAD:  Okay.  The reason I ask is  
16       because if he isn't, then we could potentially move  
17       on to the large carnivore study now.  I know that  
18       Todd Mabee is in Oregon, and he's planning to join us  
19       after lunch.  So I would rather not do any of the  
20       talks that he's involved in.

21                   The other thing we could do, staying on the  
22       furbearer theme, is to jump to the aquatic furbearer  
23       study.

24                   Alex, are you on the line?

25                   MR. PRICHARD:  Yes, I am.

1 MR. LAWHEAD: Okay. If -- if that's okay  
2 with everybody, we can move the aquatic furbearer  
3 talk up ahead of lunch and get one more in, at least.

4 MR. GILBERT: Sure. That sounds good,  
5 because it's -- we have time, if we can do that.

6 MR. PRICHARD: Great.

7 MR. GILBERT: Let's do one more.

8 MR. LAWHEAD: Uh-oh, I'm on my own here.

9 MR. GILBERT: You can do it.

10 MR. LAWHEAD: I can do it.

11 Bear with me.

12 MR. GILBERT: So you're doing 10.11.

13 MR. LAWHEAD: 10.11, yes.

14 Look at that; it might even work.

15 We are good.

16 (Off-the-record discussion)

17 MR. LAWHEAD: All right. The next study,  
18 then, we'll jump to is 10.11, aquatic furbearers.  
19 And I'm tired of talking, so I'll let Alex Prichard  
20 of our Fairbanks office present this one. This is a  
21 study that's been done entirely by ABR.

22 All right. Take it away, Alex.

23 AQUATIC FURBEARER ABUNDANCE AND HABITAT USE

24 (Study 10.11) - Alex Prichard

25 MR. PRICHARD: Okay. There might be a

1 slight delay in the -- when I see the slides up here.

2 MR. LAWHEAD: Don't talk too fast.

3 (Off-the-record discussion)

4 MR. PRICHARD: Okay. The status of the  
5 initial study report was filed in June 2014, and then  
6 we filed the study implementation report in November  
7 2015.

8 We have completed the beaver lodge portion  
9 of the study, which was two years of surveys, and  
10 we've done one year of track surveys for river otter  
11 and mink. The second year is this winter. And then  
12 we're planning to do a muskrat pushup survey this  
13 spring.

14 So the next slide.

15 The objectives. I'll just go through them  
16 really quickly. Delineate the distribution of beaver  
17 lodges; describe the distribution and relative  
18 abundance of river otter, mink, and muskrats; look at  
19 habitat associations; review available information on  
20 food habits and diets of piscivorous furbearers, and  
21 that's for the pathways analysis and mercury  
22 assessments; and then also, collect hair samples of  
23 river otter and mink for -- again, for that study.  
24 And both those components have been moved to Study  
25 5.7.

1                   So going on to the next slide.

2                   And so the study components. Looking at  
3 beaver and muskrat lodges and pushups from aerial  
4 surveys; looking at river otter and mink use from  
5 winter track surveys; and then, the mercury  
6 assessment, which, as I said, was moved to Study 5.7.

7                   And the variances. So the aerial survey  
8 area for beaver was increased slightly. We included  
9 some -- some areas. The lower study area, to  
10 increase the survey area a little bit. So we  
11 collected more data for that, the point of the study.

12                   And then the planned survey of muskrat  
13 pushups wasn't conducted in 2013 because of spring  
14 conditions, or in 2014, but we did get some  
15 information from other researchers working in that  
16 area on other study components, and we conducted  
17 incidental observations of muskrat pushups and river  
18 otter and mink tracks and animal locations.

19                   And then track surveys for river otter and  
20 mink were not conducted in February and early April  
21 2013 or in November or December 2013 due to the lack  
22 of a suitable weather window, aircraft pilot  
23 availability, though we've got quite a few incidental  
24 observations from other studies.

25                   And then again the Chulitna Corridor was

1 dropped from the study and the Denali East option was  
2 added. And the mercury analysis component was moved  
3 to Study 5.7.

4 Okay. Just a brief overview of the  
5 results. So we did complete two years of surveys of  
6 beaver lodges, and in early October there were 184  
7 observed beaver colonies. We looked at how many were  
8 active and then how many survived over the winter.  
9 And then we compiled incidental observations of river  
10 otter -- river otter and river otter tracks and  
11 muskrat pushups that first year.

12 Looked at a review of scientific  
13 literature.

14 And that was, again, moved to Study 5.7.

15 So I'll show -- the next slide is a map of  
16 first year beaver lodge locations. As expected, they  
17 were widely distributed around the study area. The  
18 red are active beaver colonies; yellow are inactive  
19 beaver colonies. And I'll just continue on through  
20 here.

21 The next slide is incidental observations  
22 of river otter, mink tracks and muskrat and muskrat  
23 pushups. And again, it's expected that river otters  
24 were widely distributed, especially on riverine  
25 areas. Most of the the muskrat observations that we

1 saw were in Fog -- Fog Lakes area.

2 Okay. Summary of results since the ISR.

3 We have completed three track surveys for river otter  
4 tracks and mink tracks in 2014; and we recently  
5 completed another one this winter.

6 An aerial survey was conducted on May 2nd,  
7 looking at survival beaver lodges. The first survey  
8 was -- we only had -- we had a low survival estimate,  
9 but that was probably affected by poor conditions  
10 during the survey. We conducted a second fall survey  
11 of beaver lodges and found a total of 250 lodges,  
12 including 82 that were active. And then we looked at  
13 survival over the next winter of those who had a  
14 higher survival rate.

15 And we compiled more incidental  
16 observations of river otters and river otter tracks,  
17 muskrat pushups. We tried getting some river otter  
18 hair snares. We only were able to collect four hair  
19 samples. But that component is in Study 5.7 now.

20 Okay. And this shows some results in the  
21 river otter aerial, river otter/mink track aerial  
22 surveys. It just shows you where some of the river  
23 otter tracks were and where we are seeing tracks.  
24 They're mostly along the riverine areas. We surveyed  
25 all the corridors and then the reservoir area and

1 tributary streams to the Susitna, and then we did  
2 transect over the reservoir area. Most of the tracks  
3 were along the streams, but we did see some in Alpine  
4 areas, too, all Alpine areas.

5 This is the 2014 beaver survey. We found a  
6 total of 250 total beaver lodges, and the ones in red  
7 are active, and these are widely distributed. Most  
8 of the -- many ponds in the area and also quite a few  
9 along the river, Susitna River.

10 And these are all the incidental  
11 observations we've collected from other researchers  
12 in the area of muskrat, mink and river otters. So  
13 quite a few; mostly river otters sightings or tracks,  
14 and widely distributed, using riverine areas  
15 predominantly.

16 The proposed modifications to the study.  
17 Of course, the Chulitna Corridor has been removed  
18 from the study area, and the Denali East option has  
19 been added.

20 AEA proposed to substitute the two seasons  
21 of incidental observations of muskrats from 2013 and  
22 2014 in place of the first year of muskrat pushup  
23 surveys, and then a muskrat pushup survey is planned  
24 for spring 2016. So that will be the second year of  
25 surveys.

1                   We think we can still fulfill the study  
2 plan objectives.

3                   And then this just reiterates that the  
4 mercury analysis was moved to Study 5.7.

5                   Steps to complete the study. Complete a  
6 second year of river otter and mink track surveys  
7 during winter 2016; survey muskrat pushups this  
8 spring; and then a cumulative data analysis will be  
9 completed for the USR.

10                  MR. LAWHEAD: All right. Thanks, Alex.

11                  Do you have any questions or comments on  
12 this study?

13                  MR. WOOD: This is Mike Wood with SRC.

14                  MR. LAWHEAD: Go ahead.

15                  MR. WOOD: Were there observations made  
16 on the Middle River regarding river otters and  
17 beaver?

18                  MR. LAWHEAD: Yes.

19                  MR. WOOD: Thanks.

20                  MS. MCHENRY: Yeah. This is Ruth McHenry,  
21 Copper Country Alliance.

22                  When some of these animals, muskrat, otter,  
23 go overland, kind of on walk-about, did you see any  
24 major differences from one year to another of how  
25 many animals were doing this?



1                   MR. PRICHARD: We have -- all we get are a  
2 snapshot of movements since the recent snowfall, so  
3 we're looking at, you know, tracks over a couple day  
4 period. I'm not sure we can answer that.

5                   MR. LAWHEAD: Yeah. It would be -- it  
6 would be basically impossible to try and answer that  
7 from the -- from the results that we have. It's just  
8 not intensive enough. We don't have any marked  
9 animals. It's difficult to know which individual --  
10 which individuals -- it's impossible to know which  
11 individual's tracks you're looking at. So you could  
12 maybe get at that with a lot more survey effort over  
13 a longer period of time, but... Now, we do know  
14 that -- well, from the track surveys, otters are  
15 moving between drainages through upland areas, but  
16 we -- but that's because we can track them in the  
17 snow, and we can't do that with beavers. So we  
18 really have no idea about movements of beavers.

19                   Any other questions or comments?

20                   Okay. Hearing none, I think we'll adjourn  
21 for lunch now, ten minutes early, and reconvene at  
22 one o'clock.

23                   MR. GILBERT: Yeah. Let's try to be ready  
24 at one o'clock sharp, everybody in the room here, and  
25 then you can move us ahead.

1                   Okay. Thanks to everybody on the phone.  
2    We'll start again at one o'clock sharp here in  
3    Alaska.

4                   (Midday meeting recess)

5                   MR. GILBERT: Okay. We have several more  
6    wildlife studies to go through this afternoon, and we  
7    just have maybe one or two new in the room, and maybe  
8    there's some new people on the phone.

9                   So who -- we have a couple new people?

10                  Earl, do you want to just state your name  
11    and...

12                  (Additional participants in meeting room  
13    introduce themselves.)

14                  (Additional participants attending  
15    telephonically introduce themselves.)

16                  MR. GILBERT: Okay.

17                  MR. LAWHEAD: All right.

18                  MR. GILBERT: Well, then we'll go right  
19    into -- we'll start with bats. We already did the  
20    aquatic furbearers, so we got the -- they're on the  
21    agenda, though, otherwise.

22                  MR. LAWHEAD: Right.

23                  Okay. I'm going to be talking about the  
24    bat study today. Our study lead is not available.  
25    So I'll jump right into it here.

1     ///

2     ///

3                   BAT DISTRIBUTION AND HABITAT USE

4           (Study 10.13) - Todd Mabee, Brian Lawhead, ABR

5                   MR. LAWHEAD:  So Study 10.13.  This is  
6 another one that has been completed based on work  
7 done in 2013 and 2014.  The two years of acoustic  
8 surveys have been conducted, searches for roost  
9 sites, maternity colonies, or hibernacula have been  
10 conducted, and then an additional effort to attempt  
11 to capture and radio track bats to locate roosts was  
12 undertaken in the second year.

13                   Objectives were to assess the occurrence of  
14 bats and the distribution of habitats used by them,  
15 focusing on the inundation zone and the camp  
16 infrastructure areas, not -- not in the access  
17 corridors.  So it's more focused than some of the  
18 other wildlife studies.

19                   Part of that was a review of information to  
20 just try and gauge the potential for these different  
21 types of roost sites that are important in the life  
22 history of bats, such as roost -- you know, general  
23 roosts, day roosts, night roosts, maternity roosts,  
24 and hibernacula.

25                   And that involved looking at geological

1 features and should also -- should also -- well, the  
2 crevasses there are on cliffs, caves of which we did  
3 not find any, and the geology guys didn't know of any  
4 either.

5 And then we also looked at as many human  
6 structures as we could.

7 There were no bridges in this study area,  
8 or mines, but we did look at a number of buildings.

9 Again, the methods were primarily acoustic  
10 surveys and then some looking for roosts.

11 There were a few variances, again similar  
12 to other studies. The lack of access on CIRWG lands  
13 in the first year prevented us from working there,  
14 but we rectified that in the second year by adding  
15 four sites on CIRWG lands in the -- in the study  
16 area, and continued monitoring at six sites that had  
17 been monitored in 2013 where we got the highest  
18 levels of bat activity to try and get an idea of how  
19 much annual variability there was in the -- in the  
20 results. And then to also try and maximize the  
21 probability that we would actually capture and be  
22 able to mark bats.

23 In 2013, another variance was we -- we look  
24 at some structures outside of the study area nearby.  
25 We weren't able to get permission to search

1 everything that was in the study area, but we tried  
2 to search as many structures in the general region as  
3 we could.

4 And then in 2014, effort was focused mainly  
5 on the capture efforts.

6 So it was a bit of a surprise. We figured  
7 the bats were in the area, but we, in 2018 (sic) we  
8 documented calls at 85 percent of the 20 sites we  
9 monitored, 17 of 20 sites. And this just shows the  
10 distribution of those sites. And then the -- and the  
11 study area itself is the reservoir inundation zone,  
12 and then the dam and camp infrastructure area.

13 And this shows the distribution of  
14 activity. It was variable among different detector  
15 stations, but there was a fair amount of activity  
16 detected in the reservoir zone, with habitats near or  
17 along streams being the most productive.

18 In 2014, these are the stations that we  
19 revisited here on the north side, and then the ones  
20 with the C prefix are the four that were added on.  
21 CIRWG lands, I should say. One there. And then the  
22 G sites are ones at which we had the greatest amount  
23 of activity in 2013. So, you see this site was  
24 productive in 2013 and 2014, and this -- this new  
25 site was fairly productive in 2014.

1           This just shows a distribution of hits,  
2   mean passes per detector-night, which is sort of a  
3   standard metric for comparing bat calls, and a bat --  
4   acoustic detectors, peaked in July and in September.  
5   And those are kind of two periods when you would  
6   expect maternity colonies to be active in this -- in  
7   this part of the year, and then prehibernation  
8   swarming occurs in the fall, which might suggest  
9   they're wintering in the area or it might suggest  
10   that they were just leaving the area; it's hard  
11   to say.

12           In 2014, there was -- we didn't get quite  
13   as many data because we had fewer detectors, but some  
14   of the peak values were higher than in 2013, but, in  
15   general, the distribution of activity was lower.  
16   Part of the roost site assessment was to examine and  
17   rank the suitability of cliffs in the study area as  
18   roost sites, looking at the structure of the cliffs  
19   and the depth of crevasses, also looking at  
20   distribution of roost trees.

21           Again, these are the -- the human structure  
22   searches. We searched -- searched as many as we  
23   could get permission to, including some very old  
24   cabins, old trapper cabins, and some newer ones,  
25   which tend to be tighter buildings. We didn't find

1 any bats or any sign of bats in any ones we had  
2 access to, which strongly suggests that they're using  
3 natural roosts.

4 So in 2014, there was -- wasn't necessarily  
5 a decision point in the RSP, but the understanding  
6 was that, you know, depending on the results of the  
7 first year, we would adapt the second year of study  
8 to try and focus on these -- on the -- on the roost  
9 sites. So we concluded that the best way to try and  
10 do that would be to actually mark some bats, which is  
11 a -- you know, it's a -- it's a bit of a crap shoot  
12 because most bat marking studies go to areas where  
13 they know there are lots of bats and you can count on  
14 getting access to a lot of them.

15 In this case we knew there were bats in the  
16 area, but they're, you know, scattered widely  
17 throughout the area. So we knew it was going to take  
18 a lot of effort, and, in short, we only got one bat,  
19 after a lot of effort. But that bat was a valuable  
20 one. It demonstrated that it was -- they were using  
21 these cliffs in the reservoir zone as roost sites.

22 It's a male, and males tend to, you know,  
23 use more dispersed roost sites than females. It  
24 would have been great to have gotten a female to see  
25 if we could locate a maternity roost, but it didn't

1       happen.

2                   Now I guess I -- I guess it was a decision  
3       but... Sorry.

4                   So, again, it was predicated on locating  
5       roost sites. We didn't, but we knew there were bats  
6       there, so we tried harder.

7                   No modifications because the study is  
8       completed.

9                   And we'll take any questions or comments.

10                  MR. GILBERT: Questions for Brian on bats?

11                  MS. LONG: Hi. This is Becky Long from  
12       SRC.

13                         So are these -- the cliffs where you show  
14       that -- that the bats are, are these cliffs -- are  
15       these going to be inundated if the project goes  
16       ahead?

17                         MR. LAWHEAD: I believe that one would be.

18                         Hold on here. Let's see if I -- we  
19       actually showed it on the...

20                         I don't think we showed it on here  
21       necessarily.

22                         Yeah. I can't say exactly where it was.  
23       But my understanding is yes, it was right on the main  
24       stem of the Susitna in the inundation zone. So, you  
25       know, I don't know the exact elevation. I think it



1       might be in the report. I think we did talk about  
2       that in the report. So you might try looking it up.

3               MS. LONG: Okay. And a follow-up  
4       question.

5               MR. LAWHEAD: Or I can -- or I can look it  
6       up.

7               MS. LONG: Okay. Thank you. And I need to  
8       look at the report better.

9               Wasn't bats having some sort of wasting  
10       disease or some disease in the Lower 48? I just  
11       wondering if our bats up here have that.

12              MR. LAWHEAD: It's called the white-nose  
13       syndrome, and it's -- it's -- yeah, it's -- it's  
14       spreading, has spread pretty widely in the  
15       northeastern and then into the central U.S., and it's  
16       certainly something that lots of people are very  
17       focused on. There's no indication of it in Alaska at  
18       this point, and one of the -- one of the protocols we  
19       followed in conducting this work was all of the  
20       decontamination protocols that have been developed  
21       for that disease in the Lower 48, which involve, you  
22       know, cleaning, sterilizing all of the equipment  
23       between successive capture sites. It's fairly  
24       labor-intensive. But at this point there's no  
25       indication of it in Alaska.

1                   Ironically enough, there's actually a  
2 meeting of a bat working group happening today here  
3 in Anchorage, and I'm sure that's one of the topics  
4 of discussion there. It's something that bat  
5 biologists all around the western U.S. are very  
6 focused on trying to prevent it and -- and also to  
7 monitor populations to see if it shows up. It's a --  
8 it's --

9                   MS. LONG: And so there like --

10                  MR. LAWHEAD: -- a fungal --

11                  MS. LONG: -- if one of us made a project,  
12 what -- there would be certain protocols that would  
13 have to be abided by, like in construction activities  
14 and stuff?

15                  MR. LAWHEAD: No. No. It's specific to --  
16 so it pass -- it spreads in hibernacula where  
17 you have all these bats concentrated, and it causes  
18 them to arouse in the middle of the winter and -- and  
19 burn up energy prematurely and can contribute to  
20 mortality. So the real concern is -- is spread  
21 through physical contact, like for cavers or -- or  
22 researchers who have been in caves where the disease  
23 has occurred. So it's sort of like, you know, some  
24 of the water-borne diseases that -- of fish or  
25 water-borne disease -- things like that that people

1 take very strict precautions to try not to spread it.

2 But it's -- it's extremely unlikely that  
3 any -- any construction equipment would be involved,  
4 because they don't hang out in bat caves, unless  
5 it was the Batmobile.

6 Sorry.

7 MS. LONG: Well, you never know with this  
8 project.

9 MR. LAWHEAD: Exactly.

10 MS. LONG: Thank you very much. Sorry I  
11 sounded kind of dumb about it.

12 MR. LAWHEAD: No, that's all right.

13 MR. GILBERT: Good question.

14 MR. LAWHEAD: There are no dumb questions.

15 MR. RYCHENER: This is Tyler Rychener with  
16 Louis Berger. I just had a quick question.

17 Do you have any thoughts about why the  
18 activity in September was so different between the  
19 two years?

20 MR. LAWHEAD: No. You know, it's -- I  
21 mean, this is real new information. No one that I'm  
22 aware of has done this kind of work in Alaska. It's  
23 kind of like casting it out there and seeing what you  
24 get.

25 MR. RYCHENER: Okay.

1                   MR. LAWHEAD: It was -- you know, we trying  
2                   to assess this area, as opposed to most research  
3                   which goes to places where they know there are bats  
4                   and then working there. This is real interesting,  
5                   though. I mean, those are more widespread than  
6                   anybody suspected.

7                   All right. Any other questions or  
8                   comments?

9                   Okay. Hearing none, we'll go on to wood  
10                  frogs, which is Study 10.18. And this study was led  
11                  by Todd Mabee from our Oregon office, so I'm going to  
12                  turn it over to him, as soon as it pops up here.

13                  I can -- I'll change the slides for you,  
14                  Todd. There will be a little bit of delay, so don't  
15                  yell at me.

16                  UNIDENTIFIED SPEAKER: This one is also a  
17                  study completion, right?

18                  MR. LAWHEAD: Yes.

19                  Don't get ahead of yourself.

20                  UNIDENTIFIED SPEAKER: I'm sorry.

21                  MR. LAWHEAD: Leave us something to talk  
22                  about.

23                  UNIDENTIFIED SPEAKER: Okay.

24                  (Off-the-record discussion)

25                  MR. LAWHEAD: All right. Go ahead, Todd.

1     ///

2     ///

3                   WOOD FROG OCCUPANCY AND HABITAT USE

4                   (Study 10.18) - Todd Mabee, ABR

5                   MR. MABEE:  Okay.  Thanks, Brian.  I'm just  
6 going to start with a mic check to make sure you can  
7 hear me okay.

8                   MR. LAWHEAD:  Yup, you're coming in great.

9                   MR. MABEE:  Okay.  Great.

10                   Okay.  Yeah, I'm Todd Mabee with ABR, and  
11 I'm going to talk about the wood frog study.  And  
12 I'll start off with just kind of an overview of the  
13 status.

14                   The short version is that the surveys were  
15 completed in 2013 and 2014, and occupancy estimates  
16 were completed for both those years, and the study  
17 objectives have been met, and the study has been  
18 completed.

19                   Next slide, please.

20                   The objectives.  You've all read the report  
21 and seen this.  You know, the main -- the main  
22 objective here is to estimate the occupancy rate for  
23 breeding wood frogs in suitable habitats in the study  
24 area.  And then we opportunistically looked for the  
25 presence of a chytrid fungus.

1                   Next slide, please.

2                   Primary study components were our auditory  
3 field surveys, the occupancy modeling and habitat  
4 associations, acoustic monitoring, and then the  
5 opportunistic chytrid fungus bioassay.

6                   Variances. There were some variances in  
7 the study, and they occurred for a variety of  
8 reasons.

9                   In 2013 and 2014: Habitat mapping and fish  
10 presence data were not available for the study areas;  
11 we couldn't use that.

12                  In 2013: As was true for other studies,  
13 CIRWG lands were not accessible; but fortunately they  
14 were in 2014.

15                  And in both 2013 and 2014 we had real  
16 slight differences in the timing of our field  
17 surveys, just because of logistic challenges.

18                  Additional variances included the removal  
19 of the Chulitna Corridor and the addition of the  
20 Denali East Corridor. And in 2013 we did the  
21 opportunistic sampling of the chytrid fungus, and in  
22 2014 that was dropped because of the small number of  
23 adult frogs we were able to capture in 2013.

24                  MR. LAWHEAD: So for those that aren't  
25 familiar with it, chytrid fungus causes a disease

1 that leads to high mortality of frogs. It's been  
2 noted in sort of worldwide declines of a number of  
3 amphibian species, frog species, so it -- and it has  
4 been detected at some places in Alaska. So there's  
5 concern by the Fish and Wildlife Service that it  
6 might potentially be spread into this area as a  
7 result of project activities. So the idea was to  
8 look for it early on.

9 MR. MABEE: Yeah. Thank you, Brian.

10 Now the summary of results. We'll start  
11 with the auditory surveys. In 2013, we surveyed 90  
12 wetlands and water bodies, and in 2014, we surveyed  
13 104 randomly selected wetlands and water bodies.  
14 Sampling was done late in May and early June. We  
15 found that frogs were distributed widely, from tundra  
16 to forested wetlands, and that frogs were detected  
17 at -- you'll see they were detected at a greater  
18 percentage of times in deep water habitats in both  
19 years, deep water being a depth greater than 1.5  
20 meters. And the naive or uncorrected estimate of  
21 frog occupancy was 52 percent in 2013 and 20 percent  
22 in 2014.

23 We've got two maps coming up. This is a --  
24 or two figures coming up. This is 2013. Just trying  
25 to show you where the surveys were conducted and

1 where frogs were actually detected. The yellow  
2 indicates the sites where frogs were detected, and  
3 you can see those were throughout the study area.  
4 The red indicates sites where frogs were not  
5 detected.

6 This is the same -- same map, except for  
7 2014. Remember that we surveyed in the CIRWG lands,  
8 the Gold Creek Corridor, and also in the Denali  
9 corridors, with yellow showing where we detected  
10 frogs and red where they were not detected.

11 So to summarize the results, from our  
12 acoustic detectors which we placed out there, they  
13 record frog colony activity. And the pattern that we  
14 found across both years is that colony activity  
15 increases throughout the day, it peaks around 1:00 to  
16 2:00 in the morning, declines sharply by around, say,  
17 5:00 a.m., then it repeats the cycle of increasing  
18 throughout the day again.

19 We estimated detectability in both years.  
20 In 2013, that was about 60 percent, which was similar  
21 in 2014 to what we found in the Gold Creek Corridor  
22 of about 56 percent. The detectability was much  
23 lower in the Denali Corridor; about 16 percent, with  
24 one visit.

25 We also estimated occupancy in both years.



1 You'll notice that occupancy was high in deep water  
2 habitats, again, depths of greater than 1.5 meters,  
3 in both years. And it was low in the shallower water  
4 habitats, especially in 2014.

5 No modifications are proposed, and the  
6 study is complete.

7 MR. LAWHEAD: All right. Thanks, Todd.

8 Do you have any questions or comments?

9 MS. LONG: This is Becky Long from SRC.

10 I wanted to ask what is the meaning of the  
11 occupancy, is you found they were higher in the  
12 deeper water. I just -- is that abnormal or  
13 whatever? I mean, it's just something you notice?

14 MR. MABEE: One of the reasons that we talk  
15 about in the report is that, you know, if the frogs  
16 deposit their eggs in a really shallow environment,  
17 then they're prone to drying out, and that would be,  
18 you know, bad for their survival. So that's probably  
19 one of the main reasons that we suggest that we would  
20 find a higher occupancy in the deeper water habitats,  
21 in that it's just -- it's just better breeding  
22 habitat for them.

23 MS. LONG: So one could say that the  
24 breeding habitat is -- is in pretty good shape?

25 MR. MABEE: Well, yeah. And, you know,

1     what we can talk about really is just the occupancy  
2     rates that we found in the study, and certainly in a  
3     lot of locations those -- those rates were pretty  
4     high. You know, especially in the -- the lower  
5     elevation sites.

6             MS. LONG: Thank you.

7             MR. LAWHEAD: Yes. So one of the things  
8     you're looking at, Becky, is to -- so if you go out  
9     and you don't hear a frog, does that mean it's not  
10    there or you just can't detect it? And so these  
11    methods are directed at trying to evaluate your  
12    chance of detecting a frog when it's present. And  
13    when you do, look at different variables to try and  
14    figure out what helps discriminate between sites that  
15    are occupied and those that aren't occupied; and  
16    that's how the water depth came up as -- as an  
17    important one.

18            Any other questions or comments?

19            All right.

20            UNIDENTIFIED SPEAKER: Carnivores.

21            MR. LAWHEAD: Yeah, we've done aquatic  
22    carnivores. So we're going to move on to  
23    distribution, abundance, and habitat use by large  
24    carnivores, which is Study 10.8.

25            And Alex, why don't you take that one away.

1 And I can chime in if there's -- and then we also  
2 have Earl Becker here in case there are certain  
3 questions about the work that Fish and Game did.

4 I should mention that this was, again, a  
5 collaborative study between Fish and Game and ABR.  
6 There were a couple of components that ABR worked on  
7 and a couple that Fish and Game worked on. So Alex  
8 will explain that as he goes through it.

9 DISTRIBUTION, ABUNDANCE, AND HABITAT USE

10 BY LARGE CARNIVORES

11 (STUDY 10.8) - Alex Prichard, Brian Lawhead, ABR

12 MR. PRICHARD: Okay. Can you hear me all  
13 right?

14 MR. LAWHEAD: Yup.

15 MR. PRICHARD: Okay. So, yeah, this -- the  
16 study implementation report was filed in November of  
17 2015. The fieldwork is complete, and we're still  
18 waiting on some lab analyses and to complete the  
19 analyses when we get those back.

20 But the status -- so we -- Fish and Game --  
21 there's three components to this: Analysis of line  
22 transect data that Fish and Game conducted to get  
23 population estimates, and that's complete.

24 And then ABR conducted two years of snare  
25 deployment, collect hair samples from bears along the

1 downstream study area, and we completed collection of  
2 those hair samples, and as I say, we're waiting on  
3 lab results and then to analyze those results.

4 And then Fish and Game worked -- conducted  
5 a population survey of -- a minimum count of wolves  
6 in the study area, and we looked at interesting  
7 information on wolves.

8 MR. LAWHEAD: Probably just move on here,  
9 Alex. I'll go to the next slide.

10 MR. PRICHARD: Okay. And then like I say,  
11 the components are the black and brown bear spatial  
12 modeling of population density using existing data  
13 that Earl Becker of Fish and Game conducted. And  
14 then the DNA and stable isotope analysis of the new  
15 hair samples that ABR collected along the Susitna  
16 River at spawning, salmon spawning areas. And then  
17 the wolves component, which consisted of looking at  
18 existing data and at new aerial survey that Fish and  
19 Game conducted.

20 And variances, the bear data from game  
21 management unit sub -- game management unit, subunits  
22 13A and B were excluded from the population  
23 estimation analysis. They concluded that it didn't  
24 have an effect on the study objectives.

25 Then we have the land access issue, similar

1 to other studies, in 2013. When we conducted the  
2 second year bear hair samples, in 2015, we had access  
3 to a much larger area. There were quite a few  
4 additional salmon spawning areas. So that was  
5 abandoned. And over the two years will produce a  
6 minimum estimate of the number of black bears in that  
7 area and -- and get good, hopefully stable isotope  
8 information on diet composition.

9 And then Fish and Game added a survey for  
10 wolves, in January 2015, to obtain a minimum count of  
11 wolves in that area. That aerial survey wasn't in  
12 the study plans, but Fish and Game thought  
13 it would be useful. So that was conducted.

14 So this is the results of the first part,  
15 which was a population estimate that Fish and Game  
16 did from line transect data. They re-analyzed 1238  
17 random transects using the latest techniques and line  
18 distance sampling, mark-recapture, and  
19 multiple-covariates. Estimated that 1262 black bears  
20 inhabited the study area and 841 brown bears were in  
21 the study area.

22 This is kind of the output that model  
23 produced. The black areas are shaded to show the  
24 higher densities of black bears in this case. And  
25 then this is the similar map for brown bears. So,

1       again, the higher -- the darker black colors are  
2       higher estimated densities of brown bears in spring.

3               And then this is a summary of results of  
4       our hair snaring. So what we did is put these  
5       break-away hair snares along salmon spawning areas  
6       and areas where we thought there were either brown  
7       bear trails -- or either kind of -- any kind of bear  
8       trail or areas where they're constricted and we  
9       thought a bear might walk through. The snares were  
10      designed to break away once a bear walks through but  
11      hopefully catch some hair on the snares.

12             We did that in 2013, put a total of 52  
13      snares out for an average of 49, almost 50 days, from  
14      mid-July to late September, and we collected 77  
15      different hair samples from 34 different snares at  
16      nine sampling locations. And those hair samples were  
17      analyzed for DNA analysis to identify hairs to the  
18      individuals and identify their sex and species.

19             We came up with estimates of 16 different  
20      black bears, including nine females, six males and  
21      one of unknown sex, and 11 brown bears, who were nine  
22      females, one male, and one of unknown sex in the  
23      study area that were sampled. That's a minimum  
24      population count, not all of the bears in the area.

25             But -- and then we conducted stable isotope

1 analysis on the hair samples, and that looks at --  
2 gives you an indication of what the bears have been  
3 eating, in a general sense, looking especially at  
4 differences between plant, terrestrial meats and  
5 salmon in the diets of brown bears and -- for both  
6 bears.

7 You go on to the -- we are through with  
8 bears.

9 You go on to the next slide.

10 This is the kind of results you get. The  
11 triangles are brown bears, and the circles are black  
12 bears. Values in the lower left tend to be more  
13 plant diets. As you move further into the upper  
14 right, that tends to be more salmon in the diet. And  
15 then terrestrial meats would be somewhere in between.  
16 So this shows the difference between species and also  
17 quite a bit of difference among individuals, brown  
18 bears.

19 We don't have the results back for 2015  
20 yet, but we'll be able to add those and then analyze  
21 these data more completely.

22 So this is just similar results for 2015.  
23 We were able to sample more areas, put out more  
24 snares. We had 64 total snares, 19 different  
25 locations, average (indiscernible - lowered voice) 60

1 days, between, again, July and September. And we  
2 collected more hair samples, 134 different hair  
3 samples from 58 different snares at 18 sampling  
4 locations. So pretty widely distributed.

5 And then this is a -- just the -- some  
6 survey areas that were areas that were surveyed by  
7 Fish and Game for wolves, to try to get a minimum  
8 count of wolves. And the blue areas were surveyed,  
9 and the red areas were areas that were surveyed, but  
10 they're high winds, that made it more difficult. And  
11 the yellow areas were not surveyed.

12 MR. LAWHEAD: So these are the access  
13 corridors here, and then that's the reservoir there.

14 Go ahead, Alex. Sorry.

15 MR. PRICHARD: Yeah. And then what's in  
16 the game management Unit 13E survey area, which is  
17 the northwestern portion, that blue area, 27 wolves  
18 were observed in six groups, and the largest pack was  
19 16 animals.

20 And no modifications are -- to the study  
21 plan are needed to complete the study. All the work  
22 except lab analysis and final report is completed.  
23 Yeah, so complete the DNA and stable isotope  
24 analyses, and then synthesize the historic and  
25 current data on bear and wolf populations and habitat



1 use for the ISR.

2 MR. LAWHEAD: All right. Thanks, Alex.

3 We have comments or questions?

4 MS. WOLFF: I've got a question. This is  
5 actually -- I didn't get my name signed up at one  
6 o'clock. I don't know if it's Kirby running it.

7 This is Whitney Wolff from the Talkeetna  
8 Community Council.

9 I'm just curious from your variances why  
10 the bear data from game management Unit 13A and B  
11 were excluded in your population (indiscernible -  
12 telephonic speech) analysis.

13 MR. LAWHEAD: Yeah, was it -- maybe Earl  
14 can talk to that a little bit more. But if you look  
15 here on this figure, 13E is up here, and the only  
16 portion of the study area that would have 13A was  
17 down in here. So originally, you know, we had  
18 delineated the study area as being a little bit  
19 larger, but it was just -- this section didn't --  
20 they hadn't surveyed that area at the time of the 13E  
21 surveys. So it was a -- not -- the data were not  
22 collected at the same time.

23 Anything else, Earl?

24 MR. BECKER: Yeah. You know, a lot of it had  
25 to do with going back and analyzing the data in a

1 spatial sense. It took a lot of GIS processing, and  
2 we had never done that before. So we put together  
3 what we felt was a regional budget and went over that  
4 just to do the 13E part. So we didn't have any money  
5 left for the 13A and B, nor did we have any time. It  
6 wasn't even a question of money. You had to beg time  
7 that was going to pay for for a GIS programmer. I  
8 took more than what I -- you know, I struck a bargain  
9 and took more than that, and I wasn't going to get  
10 any more than that. And so it wasn't even a question  
11 of money, it just -- it was --

12 UNIDENTIFIED SPEAKER: Yeah.

13 MR. BECKER: And so we looked at it, and  
14 there were no -- I think the closest bear to the  
15 impoundment was like eight or ten miles away, brown  
16 bear. There wasn't a distribution of brown bears  
17 that was -- you would look at our distribution of the  
18 90 brown bears we saw in 13A and B, and they weren't,  
19 you know, centered on the Susitna River or anything  
20 like that.

21 So there really wasn't much in the way of  
22 information gain. We could project slightly to -- up  
23 the other bank very well with the good model that we  
24 had, and so it was -- it just wasn't doable with the  
25 resources we had, and it wasn't -- it didn't impact

1 the emphasis at all.

2 MR. LAWHEAD: Could you hear that answer  
3 okay, Whitney?

4 MS. WOLFF: Yeah. I could hear it great.  
5 Thanks, thanks a lot. That was a good answer.

6 And just one more quick one. I hate to go  
7 back, but it sounded like in this particular study,  
8 because you couldn't access them in the 2013 study  
9 areas due to the -- due to the access issues, that  
10 you incorporated more in 2015, and I just -- I didn't  
11 catch that. I may not be able to go back in the  
12 prior frog survey that there it has the same  
13 variance; that they couldn't get the certain  
14 (indiscernible - telephonic speech).

15 I wasn't clear whether they added -- it  
16 didn't sound like they did anything in 2015. So this  
17 study prompted me to ask this about the frogs,  
18 whether they only did that for one season in 2014  
19 on the the CIRWG lands.

20 MR. LAWHEAD: Yes.

21 MS. WOLFF: Does that make sense? The frog  
22 guy is still there?

23 MR. LAWHEAD: He's not, but I am. And yes,  
24 the access to the CIRWG lands was in 2014. And the  
25 frog surveys were conducted in the Gold Creek

1 Corridor of that year.

2 So it was looking at the -- you know, the  
3 Gold Creek Corridor, which couldn't be sampled in  
4 2013, and also the Denali East Corridor, which wasn't  
5 sampled in 2013.

6 MS. WOLFF: Right.

7 MR. LAWHEAD: So over those two years, the  
8 entire study area was sampled.

9 MS. WOLFF: Right. So I guess -- I guess  
10 sometimes it's confusing to know whether, you know,  
11 the remainder of the lands got two years and those  
12 particular sites only got one. I'm just trying to  
13 sort that out with the variances.

14 MR. LAWHEAD: Yeah. It kind of depends a  
15 little bit on the study.

16 MS. WOLFF: Right.

17 MR. LAWHEAD: With the frogs, we concluded  
18 that two years of complete study over the entire  
19 study area wasn't necessary to achieve the  
20 objectives.

21 MS. WOLFF: Okay. Thanks.

22 Carry on.

23 MR. LAWHEAD: Thank you.

24 UNIDENTIFIED SPEAKER: Thanks.

25 MS. THOMAS: This is Cassie Thomas from the

1 National Park Service. And I have a question, if I  
2 may. And pardon me if you addressed this, but  
3 I didn't notice if it was mentioned.

4 With the bear survey work, I understand  
5 that you excluded some areas where there were high  
6 concentrations of people, and I'm thinking that some  
7 of those concentrations were probably field camps for  
8 various studies for this project. So I'm wondering  
9 if there was any kind of incidental reporting of  
10 bears that you could use to -- to try to come up with  
11 some sort of figures for those areas.

12 MR. LAWHEAD: No. We didn't really try to  
13 do that. The problem was, you know, you're putting  
14 these wire snares out there, and -- and 2013, there  
15 was an awful lot of activity in the area, so we  
16 avoided, you know, like some of the focus areas and  
17 areas near cabins or dwellings where dogs might be or  
18 where people might be. That -- that level of  
19 activity was much lower in 2015, so we were able to  
20 access a lot more sites. But we don't really have  
21 any way to, you know, gauge sort of incidental  
22 observations of bears in those areas in -- in those  
23 high-activity areas in 2013.

24 MS. THOMAS: And a lot of those would have  
25 been along the river, correct, they would have been

1 concentrated along the river --

2 MR. LAWHEAD: All of these --

3 MS. THOMAS: -- (indiscernible -  
4 simultaneous speech)?

5 MR. LAWHEAD: Yeah, all of the -- all  
6 of the snags, hair snag sites were along the river --

7 MS. THOMAS: Right.

8 MR. LAWHEAD: -- or near tributary mouths,  
9 right.

10 MS. THOMAS: Right.

11 Okay. Thanks.

12 MR. GILBERT: Yeah. Mike.

13 MR. WOOD: Yeah. I'm Mike Wood, the  
14 Susitna River Coalition. So I've got a couple  
15 questions.

16 When -- this is for ADF&G. When was the  
17 last time there was predator control efforts in the  
18 (indiscernible - lowered voice) for wolves?

19 MR. BURCH: Yeah. I figured that  
20 question might come up on this (indiscernible -  
21 lowered voice).

22 There was -- I believe wolf control is what  
23 you're talking about. That's the only -- there's no  
24 bear control, per se, in Unit 13. It was suspended  
25 this year. And beyond that I'd -- probably would

1 need to look it up and respond on the record in  
2 response because I would hate to get it wrong  
3 (indiscernible - lowered voice). There was no aerial  
4 control this past year.

5 MS. WOLFF: Not this year?

6 MR. BURCH: Not this year. And  
7 I'm not sure about -- we haven't done it every year.  
8 I'd have to look it up and see what exactly  
9 (indiscernible - lowered voice) have been.

10 UNIDENTIFIED SPEAKER: Okay.

11 MR. GILBERT: Can you guys hear on the  
12 phone?

13 MS. LONG: No.

14 MR. GILBERT: All right. Well, Mike Wood  
15 was asking about predator control, and Mark answered  
16 about wolves. There hadn't been a lot.

17 MR. BURCH: Yeah, the answer is that we do  
18 occasionally suspend aerial predator control for  
19 wolves, depending on the situation and our  
20 understanding of the wolf population, for instance,  
21 in the area. And it was suspended this past year.  
22 And I'm going to have to look at our official records  
23 to see beyond that, because I want to make sure I get  
24 that right.

25 MR. WOOD: Mike.

1                   My point for asking the question is,  
2           is that in -- in the last 12 years I've noticed a  
3           large reduction in wolf numbers, and, of course, an  
4           increase in areas of moose and calves, cows and  
5           calves, obviously, and that's what you're trying to  
6           achieve, especially in -- in '13. But in the last  
7           few years, I've seen -- like, I can go through the  
8           winter and see no wolf tracks out there now. So your  
9           studies that you saw packs of up to 16 are really  
10          interesting.

11                   So that's different from what I've seen.  
12          Like, this year, over in Jack River out of Cantwell,  
13          you know, herds of 60 to 70 moose in one canyon,  
14          that's the only place I've seen wolf tracks this  
15          entire year. And obviously because it was like going  
16          to Costco for the wolves, there's so -- so many  
17          caribou, and -- and there was one dead caribou and a  
18          lot of moose.

19                   At any rate, that -- that was my question  
20          about the wolves, how accurate that can be when  
21          there's predator control involved in that area.

22                   A lot more coyotes because of that, too, I  
23          suspect. I don't know that -- the exact correlation,  
24          but there's coyotes everywhere now, way more than  
25          wolves.



1           The other question I have, since I have the  
2 floor, is some of these studies, like the -- the  
3 bears, extend below where the dam project would be.  
4 And I don't know, maybe this is a question that has  
5 been answered, but for studies like the frog and the  
6 bat, these studies are up in the inundation zone and  
7 where there would be transmission lines.

8           I sometimes wonder why the studies weren't  
9 extended further down into the Middle River, where  
10 obviously we would see effects from a project of this  
11 size. And, I mean, to me something as simple as a  
12 wood frog is a very good indication of how healthy  
13 your ecosystem is. And I think being aware of how  
14 many frogs are in that area seems really important to  
15 me because of the amount of wetlands we have down  
16 there.

17           So I'm not sure sometimes why we're talking  
18 about Upper and Middle River and then sometimes we  
19 only talking about the inundation zone and the  
20 transmission corridors.

21           Is it --

22           MR. BURCH: Well, I --

23           MR. WOOD: -- you get studies --

24           MR. BURCH: You know, the answer.

25           MR. WOOD: -- just didn't (indiscernible -

1 simultaneous speech)?

2 MR. BURCH: -- I'd give you right now is  
3 those study areas were determined in the study  
4 planning phase --

5 MR. WOOD: Yeah.

6 MR. BURCH: -- with extensive, you know,  
7 evaluations and priorities, I guess, you know.  
8 Especially for direct impacts for the construction  
9 footprint in particular. But -- so they were  
10 determined, you know, based on the priorities, and  
11 they were set at that time.

12 MS. MCGREGOR: And the impacts are  
13 different in the different areas.

14 UNIDENTIFIED SPEAKER: Seriously.

15 MS. MCGREGOR: Then there's very different  
16 impact in the Upper River than the Lower River. But  
17 if you notice, the study area of a lot of these  
18 wildlife studies, they're huge. They extend well  
19 beyond the actual project footprint.

20 UNIDENTIFIED SPEAKER: Yeah.

21 MR. LAWHEAD: And also one of the primary  
22 ways to -- if you're going to look at the results of  
23 these studies, for the license application and impact  
24 assessment, is to look at a wildlife habitat  
25 evaluation of the whole area, including all the way

1 down past Talkeetna for the riparian area, and, you  
2 know, a pretty large area in the upper basin. So  
3 even if we didn't do studies in those areas, if  
4 you have data regarding habitat use of some of those  
5 species in that area, make the assumption that  
6 suitable habitats are getting used, in trying to take  
7 a look at that. I mean, one of the focuses of the  
8 riparian study is to look at potential change through  
9 time through modeling and how those would have  
10 (indiscernible - lowered voice) and draw conclusions  
11 on, you know, which species might be effected by  
12 those types of changes.

13 MR. WOOD: Right. I'm aware of that  
14 riparian studies. I think they're very good. But I  
15 also think the correlation -- once again, the  
16 integration of all these studies, the riparian and  
17 the wood frog and the bear, they all kind of -- they  
18 all blend into one another, you know? I mean,  
19 especially like kingfishers and merganser. You know,  
20 they're there because of fish. And so, at any rate,  
21 you -- so if you study one area and not the other,  
22 it -- I'm trying to understand why some have chosen  
23 to be studied, and I -- well, I do understand; it's  
24 just a massive area, so --

25 UNIDENTIFIED SPEAKER: No.

1 MR. WOOD: -- I do get it, but...

2 MS. MCGREGOR: But yet to also look at  
3 what's the project going to impact.

4 So in the Middle River we may potentially  
5 impact the riparian area. So -- and they're using a  
6 habitat-based approach for wildlife. So that area,  
7 just as Brian indicated, is completely covered in --  
8 in that assessment.

9 MR. GILBERT: Mark, did you have something  
10 to add?

11 MR. BURCH: I have something back on the  
12 aerial wolf control question.

13 MR. GILBERT: Okay. Yeah, he has some  
14 information on the aerial predator -- the predator  
15 control.

16 MR. BURCH: Yup.

17 And it's my colleague from BLM that asked  
18 Frank Robbins, the area biologist, when we were  
19 talking. Frank says the last year that the aerial  
20 wolf control happened was the winter of 2013-14, and  
21 there has been none since then.

22 MR. GILBERT: Okay. Thanks.

23 MR. WOOD: So the last year, just to  
24 clarify, 2013-14 was suspended?

25 MR. BURCH: That was -- that's the last

1 year it occurred.

2 MR. WOOD: It occurred. So during the --

3 MR. BURCH: In the last two years it has  
4 none.

5 MR. WOOD: So during the process of the  
6 studies, beginning in 2011, '12, '13, there has been  
7 aerial wolf hunting.

8 So does that get factored into the  
9 assessment of wolf populations and stuff out there?  
10 Like, how's that all work?

11 MS. MCGREGOR: That's baseline.

12 MR. WOOD: Baseline.

13 MS. MCGREGOR: Existing -- existing  
14 conditions is that Fish and Game periodically does  
15 predator control in that area.

16 MR. WOOD: Okay. Thank you.

17 MR. LAWHEAD: And there is --

18 MS. LONG: Hi. This is Becky Long.

19 So could Fish and Game clarify for me that  
20 the game management Unit 13 is still designated as an  
21 intensive management area to significantly reduce  
22 wolves?

23 Thank you.

24 MR. BURCH: Yes, it's still designated as  
25 an intensive management area where moose are

1 important for human consumption.

2 MR. LAWHEAD: Did you hear that, Becky?

3 MS. LONG: No. I couldn't hear it. Sorry.

4 MR. LAWHEAD: The answer was yes, it still  
5 is designated an intensive management area where  
6 moose and caribou are -- are considered to be  
7 important for human consumption.

8 MS. LONG: Thank you.

9 MR. GILBERT: Okay. Any other questions on  
10 the large carnivores?

11 MR. LAWHEAD: All right. Hearing none  
12 we'll move on to...

13 MR. GILBERT: 10.12.

14 MR. LAWHEAD: Yes, 10.12, 10.20 and 10.19.  
15 These three are all similar in that they have not yet  
16 been implemented. So they should go fairly quickly.

17 So I will talk about this one.

18 MS. MCGREGOR: Thanks, Earl.

19 MR. GILBERT: Yes. Thanks, Earl.

20 MR. LAWHEAD: Hold on. Let me check my  
21 notes up here.

22 It's hard to talk and write.

23 SMALL MAMMAL SPECIES COMPOSITION AND HABITAT USE

24 (Study 10.12) - Brian Lawhead, ABR

25 MR. LAWHEAD: Okay. Study 10.12 is small

1 mammal species composition and habitat use. This was  
2 planned as a desktop study only, no fieldwork. There  
3 was extensive fieldwork done in the 1980s relating  
4 the inventory of small mammal species that were  
5 captured relating to habitat. So we felt we had good  
6 project-specific data.

7 In addition, Study 10.10 collected some  
8 additional current data on snowshoe hares and  
9 different vole species. This has been deferred  
10 several times; haven't done it yet.

11 The objectives were simply to describe the  
12 species composition and relative abundance of the  
13 small mammal populations in the project area. And  
14 that's in the reservoir inundation zone and in the  
15 access corridors and camp and infrastructure area.  
16 And then to look at the habitat associations of those  
17 small mammals, with a view toward using this  
18 information to inform the Study 10.19, Evaluation of  
19 Wildlife Habitat Use.

20 So the basic approach will be to use data  
21 from the 1980s studies, from Study 10.10, and from  
22 other published studies in Alaska. And there aren't  
23 a lot, but there is some work that has been done at  
24 Denali Park, that will provide some useful  
25 information. And then apply that information on

1 habitat use to the vegetation and wildlife habitat  
2 map.

3 It was originally planned to be implemented  
4 in 2013, but it's been bumped down the road, mainly  
5 it's by funding priorities. It will only require  
6 one year to complete. And another reason, well, a  
7 habitat map is not yet available.

8 So going forward, no modifications to the  
9 plan methods are proposed or anticipated, except that  
10 the corridors Chulitna Corridor being dropped and the  
11 Denali East option being added have changed the study  
12 area somewhat.

13 As you can see here, this was originally  
14 the -- the area of the Chulitna Corridor, that was to  
15 be included. And this solid red area is the new  
16 addition for the Denali East Corridor. Basically,  
17 these are the same steps that we've talked about; we  
18 have to do the study.

19 Any comments or questions?

20 MS. LONG: When this -- this is Becky Long.

21 When this study does happen, is it ABR  
22 going to be doing it?

23 MR. LAWHEAD: Yes.

24 MS. LONG: Okay.

25 MR. LAWHEAD: Any other questions or



1       comments?

2                   All right. We will move on to Study 10.20.

3       I believe that's the next one.

4                   MR. GILBERT: Uh-huh. Yeah. Wildlife  
5       Harvest Analysis.

6                   MR. LAWHEAD: Yes.

7                   Alex, are you still there? Alex?

8                   MR. PRICHARD: Yeah, I am still here.

9                   MR. LAWHEAD: Okay.

10                  MR. PRICHARD: It's on muted, though.

11                  MR. LAWHEAD: Okay. Take it away.

12                               WILDLIFE HARVEST ANALYSIS

13                               (Study 10.20) - Alex Prichard, ABR

14                  MR. PRICHARD: Okay. So this is a study,  
15       again, that hasn't been completed. It's looking at  
16       harvest rates, using existing data, to be completed  
17       in one year, using data -- I am waiting on the slides  
18       here.

19                  MR. LAWHEAD: Oh. Sorry.

20                  MR. PRICHARD: Using data from Fish & Game  
21       harvest statistics and federal harvest statistics.

22                               So looking at the past and current harvest  
23       effort; harvest locations; what the access modes were  
24       for small and large -- small game and large game,  
25       including furbearers. Looking a little bit at

1 seasonal distribution, abundance, and movements of  
2 harvested species. Incorporating results from other  
3 projects when available and appropriate. And then  
4 these data can be used for recreational and  
5 subsistence resource information.

6 So the components are compilation and  
7 analysis of Fish & Game harvest database records;  
8 review of Fish & Game reports; Fish & Game trapper  
9 questionnaires; the small game outlook and harvest  
10 surveys; review of Fish & Game and U.S. Fish &  
11 Wildlife Service subsistence surveys and harvest  
12 reports; interviews with regional biologists.

13 So basically, looking at all the available  
14 data we can get. And then a comparison of harvest  
15 patterns with the current distribution of game  
16 mammals and birds and development plans.

17 And this one was deferred to the future --  
18 to the future, but it involves the use of existing  
19 data and can be completed in one year outfield  
20 work.

21 So no modifications to the study plan are  
22 needed.

23 The steps to complete the study are the  
24 same as the steps I went through earlier.

25 MR. LAWHEAD: I will make the point at this

1 time that if you want to get an idea of what the  
2 results of this study are going to look like, you can  
3 look at the technical memorandum that was done in  
4 2012, which was one of the first studies done for  
5 this project, where we did go back and do most of  
6 these steps by compiling existing harvest information  
7 from the Department of Fish & Game and from the Fish  
8 & Wildlife Service. And that was all years that were  
9 available up to that point. And so this would be a  
10 follow-on effort that would take -- pick up where  
11 that one left off and add the additional data to it.

12 Any comments or questions?

13 MS. WOLFF: Yeah. This is Whitney Wolff  
14 with the council. I just had a quick question.

15 I remember that tech memo, but not in exact  
16 detail. I'm just trying to remember what -- if you  
17 included all the game units in that E, A, and B. Or  
18 how extensive were the game-unit representations for  
19 that?

20 MR. LAWHEAD: I can't remember offhand, but  
21 it did -- it did address more than just 13-E. And  
22 that is -- that report is available on the website,  
23 under the --

24 MS. WOLFF: Okay. Yeah.

25 MR. LAWHEAD: (Indiscernible - simultaneous

1 speech).

2 MS. WOLFF: And you --

3 MR. LAWHEAD: -- point.

4 UNIDENTIFIED SPEAKER: A and C.

5 MS. WOLFF: don't have that information for  
6 the upcoming year, what -- what game units it would  
7 encompass?

8 MR. LAWHEAD: Well, it would be the same  
9 ones that we did before.

10 MS. WOLFF: Yeah. Okay. I will take a  
11 look at it from the old tech memo. Thanks.

12 MR. LAWHEAD: Yup.

13 MR. PRICHARD: And then we looked at  
14 several different scales, because the data varies.  
15 As you zoom into a finer resolution, you -- some of  
16 the data is not available at that resolution, because  
17 some of the harvest locations are pretty general. So  
18 we did look at a -- several different spatial  
19 scales.

20 MR. LAWHEAD: Yeah. That's correct.  
21 That's a good point.

22 You know, the reporting, we are relying on  
23 the reporting, and that does vary by agency and  
24 species.

25 MS. MCGREGOR: So the RSP indicates that

1       this study will cover subunits 13-A, 13-B, 13-E,  
2       14-B, 16-A, and portions of 20-A.

3               MS. WOLFF: Great. Thanks, Betsy.

4               MR. LAWHEAD: Yes. Thank you.

5               MS. MCGREGOR: Yeah.

6               UNIDENTIFIED SPEAKER: Mike has a question?

7               MR. LAWHEAD: Sure.

8               MR. WOOD: So we -- we did a subsistence  
9       survey in Chase --

10              MR. GILBERT: You know, maybe you could  
11       stand up.

12              MR. WOOD: Okay.

13              MR. GILBERT: I mean, just so people --  
14       because they can't hear on the phone.

15              MR. LAWHEAD: Or come up to the --

16              MR. GILBERT: Yeah. Can you --

17              MR. LAWHEAD: Come up here.

18              MR. GILBERT: And this would help; we don't  
19       have to relay it.

20              MR. WOOD: Can you hear me, Whitney?

21              MS. WOLFF: Yeah, I can hear you.

22              MR. WOOD: Okay. We did a subsistence  
23       survey in Chase, and it was really good. Those guys  
24       asked great questions.

25              The other one I was wondering, the state

1 agency, if the Alaska Railroad could be added to the  
2 stats for the number of moose that are killed along  
3 the railroad that goes along the Susitna River for  
4 about 50 miles through 13-E. They might be kind of  
5 important. Because there is significant carnage  
6 and -- throughout the winter, depending on the year.

7 MR. GILBERT: Okay. Thanks.

8 MR. LAWHEAD: Harvest by train.

9 MR. GILBERT: Yeah.

10 (Off-the-record discussion)

11 MR. WOOD: There is no roadside along the  
12 tracks tallying the number of moose deaths.

13 MR. LAWHEAD: Right.

14 Okay. The last one for wildlife will be  
15 10.19, Evaluation of Wildlife Habitat Use. And I'm  
16 going to let Terry Schick talk about that one.

17 EVALUATION OF WILDLIFE HABITAT USE

18 (Study 10.19) - Terry Schick, ABR

19 MR. SCHICK: Okay. So this is the wildlife  
20 habitat use evaluation study. This is one that we've  
21 referred to several times already today when people  
22 have been asking questions. The first question I  
23 think was about smaller woodland-nesting raptors, and  
24 have we done surveys for those, specific surveys for  
25 those? And the answer is no.

1                   But we will be doing an assessment of  
2     available habitat for all the species that occur, are  
3     known to occur, or are expected to occur in the study  
4     area, including the downstream portions.

5                   So when the wildlife habitat map for  
6     Study 11.5, which we will discuss later this  
7     afternoon, is completed, that's going to be merged  
8     with the riparian vegetation mapping, which runs from  
9     the dam site, down Middle River and into the Lower  
10    River. So we will be able to evaluate habitat use  
11    for wildlife throughout that full area, upstream and  
12    downstream.

13                  And in this process we are determining  
14    habitat associations for this group of wildlife  
15    species, both birds and mammals and the single  
16    amphibian in the project area. And the goal is to  
17    rank habitat values for each of the mapped wildlife  
18    habitat types in very broad categories: High,  
19    medium, low, negligible value habitats.

20                  Next slide, which is pretty much what I  
21    just discussed.

22                  Components of the study. So this study, as  
23    Brian has mentioned, has not even been started. It  
24    can't be completed -- it can't be initiated until the  
25    wildlife habitat mapping is completed for

1 Studies 11.5 and 11.6, which I just indicated  
2 earlier.

3 Next slide.

4 Work has been done, and it will be  
5 completed in the next study year.

6 Modifications going forward, the first one  
7 just really follows from the modification to  
8 Study 11.5, which originally had a very big four-mile  
9 study area buffer. That was reduced to two miles,  
10 which matches the buffer used for the  
11 landbird/shorebird study and for the wetland mapping  
12 study.

13 So similarly in this study, 10.19 will also  
14 use that two-mile buffer study area.

15 And as we've discussed a number of times  
16 today, the Chulitna Corridor has been removed and  
17 Denali East Corridor has been added to the study  
18 area.

19 The last one here, we've determined instead  
20 of selecting individual bird species of concern,  
21 which always involves some level of subjectivity --  
22 and a lot of people don't agree on which ones should  
23 be included and which shouldn't -- we decided just to  
24 include each bird species that's known or expected to  
25 occur in the study area and rank them all.



1                   That will not be the case for mammals. I  
2 think some of the mammals are harder to evaluate,  
3 especially small mammals. But, again, the selection  
4 of species, this will be discussed in consultation  
5 with the technical working group. Well, that's the  
6 hope anyway.

7                   Next slide. So this is just indicating  
8 revisions to the study area. This is actually an old  
9 slide. Chulitna Corridor should not be present any  
10 longer. But you can see Denali East. It's shaded in  
11 red there, heading up to Denali Highway.

12                   MR. LAWHEAD: What is that? River mile  
13 what? Thirty?

14                   MR. SCHICK: It's extending down to 29.5,  
15 is the southern portion of --

16                   MR. LAWHEAD: Right. I just couldn't read  
17 the number there. Okay.

18                   MR. SCHICK: The study area for 11.6. So  
19 yeah, the study area is all of the Upper River and  
20 then all the Middle River and then the Lower River  
21 all the way to 29.5.

22                   MS. MCGREGOR: Just below the confluence  
23 with the Yentna.

24                   MR. LAWHEAD: Yes. That's the Yentna  
25 coming in right there.

1 MR. SCHICK: Yes. Yentna, yes.

2 So steps to complete the study are  
3 basically the original steps, because none of this  
4 has been completed yet. We will select the  
5 individual mammal species for evaluation. All bird  
6 species expected to occur will be assessed. And we  
7 will assess habitat use for wood frogs.

8 And we will use, as much as possible,  
9 project-specific wildlife survey data. So all the  
10 data from Studies 10.5 through 10.18, which you have  
11 heard about today, will be used in this process.

12 And we will rank habitat values, as I  
13 mentioned, in broad categories to determine habitat  
14 values for each of the mapped wildlife habitat types.

15 And if there are any questions, we can  
16 attempt to answer them.

17 MR. LAWHEAD: Thank you, Terry.

18 MR. GILBERT: Yeah. Good summary.

19 Questions for Terry?

20 MS. WOLFF: I've got a quick question.

21 It's Whitney Wolff.

22 When you said select mammal species, it  
23 sounds like we can assume everything from 10.5 to  
24 10.18 will be in there. But is there anything you  
25 anticipate not selecting or -- it just sounds like

1       there is a -- a prioritization left there. I am just  
2       wondering what that process entails, selecting the  
3       mammal species.

4               MR. LAWHEAD: Yeah.

5               MR. SCHICK: (Indiscernible - simultaneous  
6       speech).

7               MR. LAWHEAD: It will involve those for  
8       which we can find adequate information. Some of  
9       the -- some of the small mammals, there really isn't  
10       much information available on them, so we will be  
11       limited to, you know, the ones that we have  
12       information on, from either previous work in the area  
13       or current work in the area or from the literature.

14               So it's going to be most of the species of  
15       mammals. It's not -- we are certainly not going to  
16       omit any -- any of those that are important for  
17       subsistence use or ecological keystone species, like  
18       beavers and things like that. It will be a call that  
19       we make based on how much information we have to  
20       really be able to inform the habitat evaluation for  
21       those species. So it will be a small number of  
22       species that are excluded.

23               MR. SCHICK: And mostly small mammals.

24               MS. WOLFF: Right.

25               MR. LAWHEAD: Yeah. Mostly small mammals,

1 maybe almost entirely small mammals.

2 MS. WOLFF: Right.

3 MR. LAWHEAD: Yeah.

4 MS. WOLFF: Okay. I guess the continuation  
5 of my question is, you know, we have a lot of  
6 emphasis on conservation management, species,  
7 subsistence, cultural/ecological concern. And I  
8 heard you just say a term that I am -- may be the  
9 answer to my question, but are you charting any of  
10 these prey species of the small mammals?

11 For instance, you know, if you are finding  
12 in your isotope studies that the bears or anything in  
13 particular, small mammals, whether -- whether that's  
14 mapped in that particular identification of the -- of  
15 the important prey species.

16 MR. LAWHEAD: Yeah. We can't really tease  
17 the isotope data out to that level.

18 MS. WOLFF: That mile, yeah. You're just  
19 getting meter (indiscernible - telephonic speech). I  
20 get it. But I didn't know if there was any  
21 emphasis -- I haven't heard any -- on prey species,  
22 so I didn't know whether that was going to play a  
23 role in this or whether that would be back with the  
24 small mammal study or where that would play.

25 MR. LAWHEAD: No. It -- you know, we'll do

1 the best we can. I mean, the ones that are likely to  
2 be excluded are the ones that are not as abundant  
3 and/or as well studied and so would not be as  
4 ecologically important, just from a numerical or  
5 biomass standpoint.

6 But, you know, that -- having said that,  
7 the previous studies back in the '80s did do a real  
8 good job of, you know, cataloguing the species that  
9 are out there. So we will have pretty good  
10 information. And we will -- you know, we will do  
11 what we can and make some assumptions about --

12 MS. WOLFF: Okay.

13 MR. LAWHEAD: Yeah.

14 MS. WOLFF: And what was that term you used  
15 for beaver? You called it what? A keystone?  
16 What -- what was the term you used?

17 MR. LAWHEAD: Keystone species, a species  
18 that has --

19 MS. WOLFF: Okay. Thank you.

20 MR. LAWHEAD: -- real important ecological  
21 effects for other species.

22 MS. WOLFF: Sure. That's perfect. Okay.  
23 Thanks.

24 MR. GILBERT: Oh. Mike, go ahead.

25 Thanks for coming up. Yeah.

1                   MR. WOOD:  So one other I would -- I would  
2                   mention is unique, but not overlooked, is the marine  
3                   mammal influence coming up from the ocean, from the  
4                   inlet, especially to 29.9.  There is -- there is  
5                   seals by the hundreds up in -- around the Yentna area  
6                   and beyond, and up towards Willow.  They are -- they  
7                   are traveling for the fish, especially for hooligan.  
8                   And locals have seen beluga up as far as Susitna  
9                   station there, at the confluence of the Yentna.

10                   So I know these are studies we talked about  
11                   earlier, but there is a large amount of marine mammal  
12                   activity that extends up into your -- beyond your  
13                   29.9, so --

14                   MR. GILBERT:  Thanks.

15                   MR. SCHICK:  Yeah.  No, that's good  
16                   information, and we would certainly take that into  
17                   account when doing the habitat evaluations, as much  
18                   as possible.

19                   MR. LAWHEAD:  Okay.  Any other questions or  
20                   comments?

21                   All right.

22                   MR. GILBERT:  Do you guys want to take a  
23                   break now --

24                   MR. LAWHEAD:  Yes.

25                   MR. GILBERT:  -- and then pick up with the

1 last four botanical?

2 MR. LAWHEAD: Good idea.

3 MR. GILBERT: Okay.

4 MS. MCGREGOR: Just before we take the  
5 break.

6 MR. GILBERT: Sure.

7 MS. MCGREGOR: Just to follow up on  
8 something Cassie asked about the presentations: They  
9 have all been posted.

10 MR. GILBERT: So, Cassie, if you are still  
11 on, all the presentations are up.

12 MR. LAWHEAD: For tomorrow.

13 MS. THOMAS: Wait, I think, was just  
14 waiting for the (indiscernible - telephonic speech)  
15 conditions one. But yup, it's there now. Thank  
16 you.

17 MS. MCGREGOR: You are welcome.

18 MR. GILBERT: Okay. So let's -- let's go  
19 ahead and take a break and start up at the bottom of  
20 the hour, at 2:30.

21 (Mid-afternoon meeting recess)

22 MR. GILBERT: Okay. We are going to start  
23 up again with the botanical studies.

24 Can you hear us on the phone, everybody?

25 MR. LAWHEAD: Is anybody left?

1 MR. GILBERT: Anybody?

2 UNIDENTIFIED SPEAKER: Yup. I can hear you  
3 real good.

4 MR. GILBERT: Okay.

5 UNIDENTIFIED SPEAKER: We heard it was  
6 Terry.

7 MR. GILBERT: All right. Terry is going to  
8 start with 11.5.

9 VEGETATION AND WILDLIFE HABITAT MAPPING STUDY  
10 IN THE UPPER AND MIDDLE SUSITNA BASIN  
11 (Study 11.5) - Terry Schick, ABR

12 MR. SCHICK: Okay. This is Terry Schick  
13 again. I am also serving as program lead for the  
14 botanical studies, of which there are far fewer than  
15 wildlife, thankfully. We have five instead of 16.

16 Sue Ives is here and will present  
17 information on the wetland mapping study, as Wendy  
18 Davis is not available today.

19 And, Janet Kidd, are you on the phone?  
20 Sounds like --

21 UNIDENTIFIED SPEAKER: No. Janet just --  
22 Janet just stepped out for a second, in her current  
23 broken condition, and she will be back in a second.

24 MR. SCHICK: Okay.

25 UNIDENTIFIED SPEAKER: But she is around.



1 MR. SCHICK: Very good. So I believe Janet  
2 Kidd will present --

3 MR. LAWHEAD: She's got an injured foot.

4 MS. MCGREGOR: Oh.

5 MR. SCHICK: -- the summary updates for the  
6 rare plant study and invasive plant study.

7 So I will jump into Study 11.5, Vegetation  
8 and Wildlife Habitat Mapping Study.

9 This one has been moving steadily along.  
10 The status is indicated on this slide here. Initial  
11 results from the 2013 field season and then the  
12 subsequent mapping that was conducted in the early  
13 part of 2014 were presented in the ISR Parts A, B,  
14 and C. And then the status was updated again in the  
15 ISR Part D.

16 So field surveys were completed in 2013 and  
17 2014, as described in the RSP. We got a lot of field  
18 data, almost 1500 full field plots -- or, excuse me,  
19 1500 field plots, over a thousand full study plots,  
20 and over 400 rapid map-verification plots.

21 Digitizing for the what we are calling  
22 integrated terrain unit variables -- I will discuss  
23 those in a minute -- that mapping is ongoing.  
24 Actually, it's pretty much complete at this stage.  
25 And we are doing QA/QC of those ITU map polygons.

1           The study area is -- is huge. The two-mile  
2 buffer around the reservoir, the dam site, and the  
3 three existing transmission line road corridors, the  
4 study area is over 500,000 acres. So it's taken some  
5 time to produce those map data.

6           I am not going to go into the objectives  
7 here. Really, objectives are to present a vegetation  
8 map and a wildlife habitat map of the study area,  
9 which will be used specifically in Study 10.19, which  
10 we just discussed, for their wildlife habitat use  
11 evaluation.

12           Study components are pretty  
13 straightforward. And this is all in ISR Part A.  
14 Collect field data; verify their photo signatures;  
15 and map those photo signatures of the various  
16 variables, which we will discuss in a moment.

17           So the variances, there are really no  
18 variances for the field surveys. There were  
19 two study area variances, as we have discussed a  
20 number of times. The Denali East Corridor was added,  
21 and the Chulitna Corridor was eliminated from the  
22 study area.

23           On this one, we also discussed in  
24 Study 10.19. The original study area buffer was  
25 huge; it was four miles on either side of the

1 centerline for the transmission and road corridor  
2 alignments and then four miles on either side of the  
3 upper-level full-water level of the reservoir and dam  
4 site. That was reduced to two miles, which matches  
5 the study area buffer used for the wetland mapping  
6 study and for the landbird and shorebird study.

7 This is a depiction of the field plot  
8 sampled in 2013, where we did not have authorization  
9 to sample on Cook Inlet Region Working Group lands  
10 here along the Gold Creek Corridor and the  
11 southwestern portion of the reservoir area. And this  
12 is the plot sampled in 2013 and 2014. So we filled  
13 out Cook Inlet Region Working Group lands with field  
14 plots, in 2014, and then along the Denali East  
15 corridor.

16 Summary of results. We collected lots of  
17 field data, as I indicated already. Field surveys  
18 were completed. The mapping is pretty much done. We  
19 are error-checking that mapping now, and we are  
20 preparing final wildlife habitat types currently.

21 So in mapping, we are mapping Alaska  
22 vegetation classifications to the Viereck 1992.  
23 Classification for Alaska vegetation, we are mapping  
24 those to the Level IV of Viereck's classification.

25 We are also mapping physiography; surface

1 form, which are local-scale geomorphology types; and  
2 disturbance, when applicable. And largely, there is  
3 very little disturbance in the study here, but you  
4 get into some at the western ends of the Gold Creek  
5 Corridor, for example, here.

6 This is just a depiction of how ITU mapping  
7 will develop into wildlife habitat types. So on the  
8 left are -- there is a combination of physiography  
9 and Level IV vegetation types for each of these  
10 individual polygons. These will be aggregated into  
11 larger, more coarse-scale wildlife habitats that  
12 emphasize vegetation structure instead of species  
13 composition, which is typically more important for  
14 wildlife.

15 So it emphasizes vegetation structure and  
16 physiography primarily, to develop wildlife habitat  
17 types.

18 Proposed modifications, going forward as we  
19 complete this study, they are pretty much the same --  
20 they are exactly the same variances that we discussed  
21 previously. The study is not completed, so these  
22 remain modifications as we proceed through completion  
23 of this study.

24 Steps to complete the study, we are in the  
25 process right now of reviewing the ITU mapping and

1       correcting that, as needed. We will need to join the  
2       GIS data between this study and the downstream  
3       mapping, which is being conducted in the Riparian  
4       Vegetation Study, 11.6. And the goal here is to  
5       prepare a projectwide wildlife habitat map that we  
6       can use for the Habitat Use Evaluation Study, 10.19.

7               And obviously, we will work on developing a  
8       final set of wildlife habitat types. We are doing  
9       that now, actually. And we are getting, hopefully as  
10      we speak, review of those preliminary wildlife  
11      habitat types from the researchers working on  
12      wildlife studies for this project.

13             So I will entertain any questions, if you  
14      have them.

15             MR. GILBERT: Questions for Terry?

16             MS. WOLFF: I've got a question. This is  
17      Whitney Wolff.

18             MR. GILBERT: Sure.

19             MR. LAWHEAD: Go ahead.

20             MS. WOLFF: This is regarding the variance  
21      about the study area buffer.

22             MR. LAWHEAD: Uh-huh.

23             MS. WOLFF: I've read all Parts A -- there  
24      wasn't much of B, and C, in the ISR. And I am just  
25      wondering where the decision point is, that -- where

1     you switch from four miles to two, or if that's  
2     addressed in the TM.

3             MR. SCHICK:  It's not in the TM.  It should  
4     be explained in ISR Part A.

5             MS. WOLFF:  I just --

6             MR. SCHICK:  (Indiscernible - simultaneous  
7     speech)

8             MS. WOLFF:  read all Part A.  I don't see  
9     it anywhere in there.  And there is no errata in Part  
10    B.

11            MS. MCGREGOR:  Did you check ISR Part C?

12            MR. SCHICK:  Yeah, it could be in Part C.

13            MS. WOLFF:  The executive summary?

14            MS. MCGREGOR:  No.  ISR Part C has  
15    Section 7.1.2 for every ISR Part C -- or proposed  
16    study modifications.

17            MR. SCHICK:  Well --

18            MS. WOLFF:  I will go back and look one  
19    more time.  I just read the whole of Part C, but --  
20    my main question was just -- I know this has to --  
21    like you just said, it has to meet with the riparian  
22    vegetation study in 11.6.

23                    And there is a lot of reference in Part A  
24    to this seamless mapping.  And I am just wondering if  
25    this affected habitat types or all the -- you know,

1     you had several -- 29 preliminary ecotypes. I am  
2     just wondering if you had to eliminate any ecotypes  
3     or -- I don't -- looking for some kind of background  
4     on this decision.

5             MR. SCHICK: Well, I can tell you the  
6     decision really was made -- it's an "effectiveness of  
7     getting the work done" decision. Four miles is huge,  
8     as you can imagine, this four miles on either side.  
9     I think we erred in making that buffer that big,  
10    quite frankly. And in discussions with the wetlands  
11    mapping group, there were no indications that the  
12    wetlands mapping needed to be that big. A two-mile  
13    buffer seems sufficient to evaluate the effects of  
14    the project on wetlands.

15            And we ran this same scenario by the  
16    wildlife researchers and asked them: So do you think  
17    two miles is sufficient to assess effects of this  
18    project on wildlife habitats? And the answer was  
19    yes.

20            So with respect to the question of whether  
21    we are missing some habitats that we might have  
22    mapped in the four-mile buffer that was --

23            MS. WOLFF: No, I didn't ask you if you  
24    were missing. I wondered if it had changed, your  
25    29 preliminaries, if -- if there is a shift.

1 MR. SCHICK: Well, there will be shifts,  
2 because we are reaggregating. The 29 was a quick  
3 first cut at what we might see, but that was done  
4 in -- at the point where we had maybe -- and if I am  
5 remembering right -- I don't -- I think we may have  
6 only mapped, say, 30 percent of the study area at  
7 that time. So we didn't have the full -- we didn't  
8 have the full data set of all ITU variables to deal  
9 with. We do now.

10 So you will see a different set than that  
11 29. Some will be very similar; some will be  
12 different.

13 MS. WOLFF: Okay.

14 MS. MCGREGOR: Whitney, I did just confirm,  
15 too. It's in ISR Part C, Section 7.1.2.

16 MS. WOLFF: Okay. Thanks.

17 MS. MCGREGOR: Yeah.

18 UNIDENTIFIED SPEAKER: Yeah. Part C  
19 updated A, as I recall.

20 MS. MCGREGOR: That's where modifications  
21 are.

22 UNIDENTIFIED SPEAKER: Yeah,  
23 modifications.

24 UNIDENTIFIED SPEAKER: Yes, correct.

25 MR. SCHICK: Any other questions?



1 No? Okay. Well, we can shift to?

2 UNIDENTIFIED SPEAKER: Wetlands.

3 MR. GILBERT: Wetlands.

4 (Off-the-record discussion)

5 MR. LAWHEAD: There you go.

6 WETLAND MAPPING STUDY IN THE UPPER AND MIDDLE SUSITNA

7 BASIN (Study 11.7) - Sue Ives

8 MS. IVES: All right. So, again, I am Sue  
9 Ives, here filling in for Wendy Davis today. And I  
10 will talk to you about Study 11.7, Wetlands Mapping  
11 in the Upper and Middle Susitna Basin.

12 Similar to the veg and wildlife habitats,  
13 this study has been ongoing. We have an ISR  
14 submitted in June of 2014 that summarizes our 2013  
15 data. And then an update, which is ISR Part D, going  
16 over our 2015 data.

17 Field studies were completed in 2013 and  
18 2015, as described in the RSP. And as Terry said, we  
19 were able to collect a lot of field data, a nearly  
20 1500 field plot sample. So that's over a thousand  
21 formal wetland determinations with functional  
22 assessment data collection, and over 400 rapid  
23 map-verification plots.

24 Digitizing our map polygons for wetlands  
25 within the study area is complete and is undergoing

1 senior level QA/QC at this time.

2 I don't know that we need to go terribly in  
3 depth into the objectives. Basically, our objectives  
4 are to map wetlands within the Upper and Middle  
5 Susitna Basin and to look at the ecological functions  
6 of wetland types present within our study area.

7 Components of our Study 11.7. We have  
8 field data collection, which is used to support the  
9 mapping and the functional assessment.

10 We have a multivariate wetlands mapping,  
11 which is incorporating ideas, ideas getting at  
12 wetland function.

13 We will be preparing a functional  
14 assessment for each mapped wetland type within our  
15 study area.

16 And, again, this study is being conducted  
17 in close coordination with the vegetation and habitat  
18 mapping study.

19 So field data collection efforts happen  
20 concurrently, and the mapping is also happening  
21 concurrently.

22 Variances. We had no variances for our  
23 field survey, for our mapping, or, you know, our  
24 functional assessment collect -- or, sorry, our  
25 functional assessment methods. And the two variances

1 we have had, I think, have been well covered today.  
2 The Chulitna Corridor was eliminated from project  
3 plans, and so it's no longer part of our study area;  
4 and then the Denali East Corridor, that additional  
5 north south corridor was added.

6 You can see here a depiction of our 2013  
7 study results -- or, our 2013 field survey results.  
8 Sorry. And as you can see, we have got this Chulitna  
9 Corridor here for our 2013 effort; no Denali East  
10 option. No data collected within Cook Inlet Region  
11 Working Group lands. And a handful of plots are  
12 technically outside of our two-mile wetland study  
13 area, because this work was being conducted  
14 concurrently with the vegetation and habitat mapping,  
15 which at that time had a four-mile study -- or,  
16 four-mile buffer for the study area.

17 We will move on to a depiction of our 2013  
18 and 2015 results.

19 So you can see here Chulitna Corridor is no  
20 longer part of our study area, and Denali East has  
21 been added. Yellow points are 2013 data collection;  
22 teal are 2015.

23 So you can see we focused heavily on the  
24 Denali East Corridor and filling these -- the lands  
25 that we did not have permission to sample in 2013.

1                   Summary of our results. So, again, we  
2 collected field data in July and August of 2013 and  
3 then in August of 2015. And this was able to give us  
4 nearly 1500 field plots; over a thousand full plots,  
5 which are formal wetland determination plots, with  
6 functional assessment data; and a little over  
7 400 rapid map-verification plots.

8                   Wetlands mapping is completed, and this  
9 entails mapping our NWI class, or a Cowardin class;  
10 HGM wetland class; the Alaska Vegetation  
11 Classification, which is the Viereck publication,  
12 down to Level IV; physiography; surface form, which,  
13 as Terry said, is sort of a local-scale  
14 geomorphology. So are you on a crest? A shoulder  
15 slope? A toe slope? A drainage? And then, also,  
16 where applicable, disturbance type, which -- and as  
17 Terry pointed out, there is not a lot of disturbance  
18 within the study area, but in scattered places.

19                   A depiction of our wetlands mapping. So  
20 here we have displayed just the NWI codes for you.  
21 But to give you a picture of what we are -- what we  
22 are looking at, this is wetlands mapping within a  
23 forested area in the study area. So large expansive  
24 uplands.

25                   And here you can see our wetland polygons

1 broken out into seasonally flooded, saturated  
2 emergent types, saturated scrub-shrub, saturated  
3 evergreen scrub-shrub, and forested wetlands.

4 Proposed modifications are the same as our  
5 variances that were earlier discussed. Because the  
6 study isn't complete, the variances are still also  
7 considered modifications.

8 So no Chulitna Corridor, and the addition  
9 of the Denali East Corridor.

10 Moving on.

11 Steps to complete 11.7.

12 Senior level review of our map is ongoing.  
13 And this involves review and potential revision of  
14 both line work and attributes.

15 As Terry had discussed, looking at the  
16 places where our study area abuts the riparian study  
17 area and ensuring a smooth transition of line work  
18 and codes across the two study areas.

19 Developing a final set of multivariate  
20 wetland types that will incorporate our  
21 wetland-functional information. The idea of  
22 developing functional classes, groups of wetlands  
23 that perform similarly, so that you can look at the  
24 sort of aggregated set during your functional  
25 assessment.

1                   On the theme of functional assessment, as  
2 we discussed in the ISR, there are some parameters  
3 that we are planning to tweak to make our results  
4 more representative conditions in the study area.  
5 The Magee model itself was developed from -- in -- in  
6 the eastern United States, and so it's developed for  
7 more -- areas with more anthropogenic disturbances.  
8 So where -- there are a few little tweaks we think we  
9 can make to make our results more representative.

10                   We also intend to incorporate data from  
11 other studies, fish and wildlife. Well, fish  
12 distribution and abundance and fish habitat studies,  
13 wildlife studies, information available from  
14 recreation, and subsistence, and to be able to use  
15 that to amend our functional assessment outputs.

16                   So, you know, we will get -- through the  
17 straight Magee model, we will get functional capacity  
18 indexes for, say, fish and wildlife habitat, but we  
19 intend to overlay other project data to improve those  
20 results.

21                   And developing a final set of wetland  
22 functional classes, which is in progress.

23                   Does anyone have any questions?

24                   MR. GILBERT: Questions for Sue?

25                   MS. MCGREGOR: I would like to just make a

1 comment with respect to this study. I received a  
2 call from Army Corps, who can't be here for this  
3 meeting. But with all these different agencies, we  
4 have had a lot of turnover. And the functional  
5 assessment for this study was a completely  
6 collaborative process during the study planning  
7 phase. That was approved by the Army Corps, the EPA,  
8 Mat-Su Borough. They are using a combination of that  
9 Magee functional assessment, but isn't there --  
10 what's the Cook Inlet meth- -- is it Grax (ph)?

11 MS. IVES: Oh, Grax (ph) mapping, which we  
12 actually really don't discuss here. Mike Grax (ph)  
13 has done extensive mapping throughout the Mat-Su  
14 Borough. And we do intend to crosswalk his wetland  
15 types to our mapping.

16 MS. MCGREGOR: And he participated in some  
17 of the functional assessment discussions during the  
18 study planning phase, too.

19 And one of the issues is that there isn't a  
20 functional --

21 MR. GILBERT: And U.S. Fish & Wildlife  
22 Service was also --

23 MS. MCGREGOR: And the Fish & Wildlife  
24 Service, too. Thank you.

25 So one of the issues is that there isn't a

1 functional assessment for -- suitable for the  
2 ecoregions that the project spans. So they did come  
3 up with an approach, but it was a collaborative  
4 process.

5 And all the documentation of that  
6 consultation is in the proposed study plan.

7 MS. LONG: Betsy, could you repeat that  
8 again? It isn't a functional what?

9 MS. MCGREGOR: There isn't a -- the project  
10 area is huge, and it spans multiple ecoregions. And  
11 there isn't a functional assessment that's suitable  
12 for the entire project area. So there was a  
13 collaborative process, and ABR came up with kind of a  
14 composite approach based on methods that are used in  
15 other ecoregions or -- or even as -- I'm sorry --

16 MS. IVES: Oh. Sue.

17 MS. MCGREGOR: -- Sue alluded to Magee,  
18 which is on the East Coast. It's not even from here.

19 And we did participate with -- there is a  
20 Cook Inlet methodology for functional assessment, and  
21 we did collaborate. Mat-Su Borough uses that quite a  
22 bit. And we collaborated with the -- I guess the  
23 developer of that functional assessment.

24 MS. IVES: Yeah.

25 MS. MCGREGOR: In trying to come up with



1 what was suitable in developing a functional  
2 assessment to be applied in the project area.

3 MR. GILBERT: And the Corps of -- Corps of  
4 Engineers.

5 MS. MCGREGOR: Yeah. It was the Corps of  
6 Engineers; the EPA; Mat-Su Borough; and, as Terry  
7 pointed out, Fish & Wildlife Service, as well. And  
8 all that documentation for the collaboration is in  
9 the consultation documentation for Section 11 of the  
10 proposed study plan.

11 UNIDENTIFIED SPEAKER: Thanks a lot.

12 MS. IVES: Okay. Well, if there are no  
13 other questions --

14 MR. LAWHEAD: Doesn't sound like it.

15 MR. GILBERT: No. We will keep going.

16 MS. IVES: I will close out of this guy and 17 open  
11.8.

18 MR. GILBERT: Janet Kidd, are you there in  
19 Fairbanks?

20 MS. KIDD: Hello. Yes, I am here.

21 MR. GILBERT: Okay. If you are willing,  
22 you can take over and present the last two: Rare  
23 Plants and Invasive Plants, which --

24 MS. KIDD: Oh, okay.

25 MR. GILBERT: -- hopefully should be coming

1 on screen here soon.

2 (Off-the-record discussion)

3 MR. LAWHEAD: Take it away.

4 (Off-the-record discussion)

5 RARE PLANT STUDY

6 (Study 11.8) - Janet Kidd, ABR

7 MS. KIDD: So, yeah, we are going to -- I'm  
8 going to talk about the rare plant study that --  
9 haven't done a whole lot of work on recently, but I  
10 will just summarize the work that has been conducted  
11 to date.

12 Slide.

13 So this is the status. You know, there was  
14 an initial study report completed in June of 2014.  
15 We conducted field surveys in 2013, with no  
16 variances; looked at a wide range of habitats in the  
17 study area, found two rare species.

18 Due to access restrictions, we weren't able  
19 to survey the Cook Inlet Regional Working Group study  
20 area. And so, you know, basically, when that's --  
21 when the next study year comes up, we would --  
22 believe that's part of our field surveying. But no  
23 additional field survey or data analysis has been  
24 conducted since 2013 for this project.

25 So objectives were to identify habitats in

1 the project area that support rare vascular plant  
2 species. The list that we came up, we derived from a  
3 larger database of rare plants that can be found in  
4 the region, essentially.

5 To look at habitats that we thought could  
6 be disturbed by project construction and/or operation  
7 activities that could affect the rare vascular  
8 plants.

9 And then we mapped the locations and made  
10 estimates on the population size for those species  
11 found.

12 So we had a selection of focal species and  
13 habitats. And we used data records that had been  
14 compiled previously in the area, mainly from the  
15 Alaska National Heritage Program. And then we  
16 focused on those species that are more rare within  
17 the state.

18 And so these rankings, which are summarized  
19 in the initial study report, but they -- they focus  
20 really pretty much on -- on putting -- you know, rare  
21 (indiscernible - telephonic speech) within the state.  
22 They are not on any kind of a, you know, endangered  
23 plant list, but they are considered rare. And so  
24 then we looked at those species and then habitats  
25 that are associated with them and conducted field

1 surveys to see if we could find them in the project  
2 area.

3 I think -- I guess I mentioned in the first  
4 slide there were no variances for the methods for the  
5 selection of focal species or habitats for the field  
6 survey for rare plants for this project, as described  
7 in the revised study plan.

8 So summary of results.

9 This is just showing the transects that we  
10 sampled in 2013.

11 So as I mentioned there, we did, you know,  
12 focus on, first, looking at habitats that might be  
13 associated with these rare plans and, then, conducted  
14 surveys to identify the species.

15 We did find a couple of rare plants: *Vicia*  
16 *americana*, which is a legume; and then *Eriophorum*  
17 *viridicarinatum* is a -- a sedge that's found  
18 essentially in (indiscernible - telephonic speech).  
19 It's a -- in a lowland -- lowland environ -- wetland  
20 environment. And the *Vicia* is actually kind of  
21 really more in disturbed environments.

22 Next slide.

23 There is a delay on my side here.

24 MR. GILBERT: Delay on this side, too.

25 UNIDENTIFIED SPEAKER: Sorry.

1 MS. KIDD: Oh, okay.

2 UNIDENTIFIED SPEAKER: Different reasons.

3 MS. KIDD: (Indiscernible - telephonic  
4 speech).

5 Yeah. So 16 transects were sampled. We  
6 found these, the *Vicia*, at Gold Creek Camp, which is  
7 the western end of Gold Creek Corridor; and then the  
8 *Eriophorum viridicarinum*, called thinleaf  
9 cottonsedge, this was found on the terraces above the  
10 Susitna River. We also found it, though, actually --  
11 part of our wetland survey, we did find that in a  
12 couple of places.

13 And then we did find several other rare  
14 taxa associated with other botanical studies. And I  
15 actually did see that. And in our initial study  
16 report, we did actually finally get the  
17 identification of those. And let's see, I was kind  
18 of looking through the report (indiscernible -  
19 lowered voice) -- associated with the riparian study,  
20 we did find (indiscernible - lowered voice). Oh, I'm  
21 sorry. Yeah, *botrychium virginianum*. And then  
22 violales (ph) (indiscernible - telephonic speech).

23 So they -- they actually -- that is in the  
24 initial study reports. So I think with -- by with --  
25 with -- wasn't updated to acknowledge that we did

1 actually get identifications from the herbarium at  
2 the University of Alaska Fairbanks.

3 Next slide.

4 The Chulitna Corridor was eliminated from  
5 the study area, and the Denali East Corridor option  
6 was added. This essentially was -- you know, as an  
7 additional, alternative north-south corridor for the  
8 transmission line and road access.

9 The use of the list compiled (indiscernible  
10 - telephonic speech) -- using the list compiled in  
11 2013, conduct the field studies to locate additional  
12 populations of rare plant species that were in the  
13 study area that went unsurveyed in 2013 and could be  
14 affected by project construction. And that will  
15 happen in the next study years.

16 And, again, estimate population sizes for  
17 any rare vascular plant species found in 2013.  
18 And 2004 -- 2015, we didn't do any actual field  
19 survey, so that would be basically when the study  
20 year -- the next study year we would complete our  
21 surveys in the new areas.

22 That's about it. So then do we have any  
23 questions?

24 Some of this might sound a bit redundant,  
25 because I think we did give this presentation awhile

1 ago. But I understand there might be other people on  
2 the -- on the call here today that haven't heard this  
3 presentation before, so --

4 UNIDENTIFIED SPEAKER: Okay. Thanks,  
5 Janet.

6 This is *Vicia americana*, by the way, at  
7 Gold Creek Camp.

8 MS. IVES: Yup.

9 MR. GILBERT: Any questions for Janet on  
10 rare plants?

11 UNIDENTIFIED SPEAKER: No questions, it  
12 doesn't sound like. Okay. So we can --

13 UNIDENTIFIED SPEAKER: Invasives.

14 UNIDENTIFIED SPEAKER: Yeah.

15 MR. LAWHEAD: First talk today with no  
16 questions or comments.

17 (Off-the-record discussion)

18 UNIDENTIFIED SPEAKER: Okay.

19 INVASIVE PLANT STUDY

20 (Study 11.9) - Janet Kidd, ABR

21 MS. KIDD: So this will be a summary of an  
22 invasive plant study that we started and -- in 2013.  
23 Again, that was the only year that we conducted field  
24 surveys. But this will -- I will just provide you a  
25 summary of what we found.

1                   So this is documented in the initial study  
2 report. Again, it was compiled in -- completed in  
3 June of 2014.

4                   We conducted field surveys for invasive  
5 plants in 2013 and also provided a -- just a  
6 preliminary ecological risk assessment for -- on the  
7 chart -- and some of the species that we found as  
8 part of the survey.

9                   No additional field survey or data analysis  
10 work has been conducted since 2013 for the invasive  
11 plant study.

12                   To identify the locations at which invasive  
13 vascular plant species have already become  
14 established in the project area. We did that by  
15 looking at a statewide database that provides  
16 location information for invasive plants that might  
17 be in the vicinity of the project area.

18                   We estimated -- when we did find invasive  
19 species, we made estimates of population size and  
20 mapped their distributions.

21                   And then determined whether any of the  
22 invasive species that we found, you know, could  
23 potentially pose an ecological risk to native plants  
24 and animals in the project area if they were to  
25 spread.



1                   So, yes, Alaska Exotic Plants Information  
2 Clearinghouse database is the resource that we looked  
3 at. Plus, we also looked at aerial imagery. You  
4 know, because the area -- the project area is largely  
5 undisturbed, we really pretty much looked for, sort  
6 of, entry points, you know, that -- that would  
7 potentially serve as places where invasive plants  
8 could spread over time and collected -- focused our  
9 field survey on those areas.

10                   And then we conducted an ecological risk,  
11 as I said, for -- for some of the species that might  
12 potentially have more -- be more a threat to the  
13 ecosystem integrity than others.

14                   In 2013, there were no variances from the  
15 methods to conduct the field survey or the ecological  
16 risk assessments as described in the revised study  
17 plan.

18                   This is just showing you the area that  
19 we -- that we focused on in 2013. So if it's in the  
20 red, you can see essentially it's focus is -- it  
21 focuses on the road. And then there is also  
22 basically a number of trails that come off of the  
23 Denali Highway and the Parks Highway, that come into  
24 the project area. And these are places that we  
25 thought, you know, could be certainly pathways for

1       invasives to come into the project area.

2                   So we tried to basically focus on that --  
3       you know, places where we know there is disturbance,  
4       and that's where invasive plants tend to establish,  
5       so that's our -- that was our focus.

6                   Sampled 107 sites in late August. And as I  
7       mentioned, the Denali-Parks corridor, you know, ORV  
8       trails that were -- you know, provide access to the  
9       project area.

10                   Twenty-eight of the 107 sites were  
11       revisits, actually, where previous invasive plant  
12       survey data was available, just to see if those  
13       areas -- you know, had the invasive plants, you know,  
14       reduced in population? Had they spread to a larger  
15       area? Were there more species, maybe, there? Just  
16       trying to do some repeated sampling, which was really  
17       useful.

18                   And as you can see, we did find quite a few  
19       invasive plants. At 98 of the 107 sites we sampled,  
20       we did find invasive species.

21                   And across all sites, we found a total of  
22       31 species that are classified as invasive.

23                   This will give you a species list and the  
24       number of sites that were recorded. The invasiveness  
25       rank, this is essentially sort of ecological risk

1 score in itself. There is a whole process that is  
2 involved, as described in the initial study report.  
3 It had to do with, you know, ability to control  
4 how -- you know, how well these plants establish.  
5 What sort of -- you know, what kind of risk can  
6 they -- you know, some species have more of a risk to  
7 native plants than others.

8 So that's essentially, when we were doing  
9 our preliminary ecological risk assessment, we used  
10 that invasiveness rank to help us do a preliminary  
11 assessment.

12 What we did find is that the populations in  
13 2013 were negligible-to-small in size, so our  
14 ecological risk assessment focused primarily on a  
15 couple species. And at least right now, our general  
16 assessment was that the risk is relatively low and  
17 that this wasn't -- we could basically -- you know,  
18 we really didn't see large areas at any of our  
19 campsites that were, you know, extensive populations  
20 of invasive plants.

21 But the two that we did find, *Hordeum*  
22 *jubatum*, which is foxtail barley -- I'm sure probably  
23 some of you folks are familiar with that one -- and  
24 also *Melilotus alba*, the sweet clover -- I'm sure  
25 anybody driving the Parks Highway or even up from

1 here or Fairbanks north of town, you have seen that  
2 one.

3 And they do have fairly high invasive  
4 ranks.

5 The Hordeum, you know, basically, it's --  
6 it's -- one of its traits is that it can -- it can  
7 colonize a wide range of habitats. So not in just,  
8 you know, well-drained, gravelly substrates, but also  
9 fairly wet areas. So, of course, it can potentially  
10 invade a, you know, wide range of habitats.

11 And the Melilotus is problematic because it  
12 does tend to form dense stands on river bars and  
13 then -- and consequently can have a potentially  
14 negative effect on native species that are colonizing  
15 those river bars and potentially prevent -- you know,  
16 have effects -- have a potential to prevent native  
17 species from establishing.

18 The good news is at least that, you know,  
19 both of these species were mostly found at trace  
20 levels or low -- you know, one to five percent --  
21 cover values during the 2013 survey.

22 The Chulitna Corridor -- these are some  
23 proposed modifications.

24 The Chulitna Corridor was eliminated from  
25 the study area. And the Denali East Corridor option

1 was added as an additional, alternative north-south  
2 corridor for transmission line and the road access to  
3 the dam site.

4 So we're up to complete the study. We will  
5 conduct some field surveys in the next study year in  
6 disturbed areas in and near the project area that  
7 were not surveyed in 2013. Use similar kinds of  
8 assessment parameters to look at abundance, percent  
9 cover and/or stem-counts of all the species found.

10 We would, you know, target portions of the  
11 Denali Highway, near the Denali East Corridor option,  
12 Stephan Lake and High Lake Lodge, Gold Creek Camp,  
13 and selected portions of the Alaska Railroad  
14 right-of-way. So those were areas that we weren't  
15 able to capture in 2013.

16 We would, of course -- similar to 2000 --  
17 2013, we would review the database and current  
18 imagery, to help guide survey efforts.

19 And when the project is complete, then  
20 we -- survey data has been completed, we would  
21 conduct our ecological risk assessment for the  
22 invasive plant species that we found, to see if there  
23 are any changes from -- you know, in these new areas  
24 that we will be surveying.

25 And if anybody has any questions, I am

1 happy to, hopefully, answer them.

2 MS. LONG: Hi. This is Becky Long from  
3 SRC.

4 MS. KIDD: Uh-huh.

5 MS. LONG: I think that -- should I go  
6 ahead?

7 MR. GILBERT: Yes, go ahead.

8 MS. LONG: Okay. I think that this  
9 study -- you guys have done a really good job. And  
10 it's definitely good news that based on the data you  
11 have now, that the overall current risk assessment is  
12 very low.

13 And, you know, the -- what you guys talk  
14 about in your study about how invasives get  
15 established, I actually, you know, have -- I agree --  
16 I find -- I had found that to be true, based on my  
17 long experience of living in the Bush.

18 And one of the reasons why I care about  
19 this study is because I want to make sure that  
20 invasives don't get established so that if the  
21 project goes ahead, the dam project goes ahead,  
22 that -- and invasives, the risk is higher, that the  
23 use of herbicides is not considered to solve the  
24 existence of what is considered invasive.

25 Our state pesticide laws certainly are not

1 very good about protecting human, wildlife, fish, or  
2 environmental health. And those pesticide  
3 regulations need reforming. So I hope that we never  
4 have to resort to using that as a way to solve the  
5 invasive problem.

6 And looking ahead to your second year of  
7 study, what you said about where you guys are going  
8 to go and look at -- look at the lodges and the  
9 Talkeetna Airport, I was just wondering, what about  
10 the -- around the dam site where there has been  
11 significant licensing study activity? Or is there --  
12 or maybe 11.6 or one of the others, I just wonder if  
13 you are tracking that.

14 And just one more thing. I hope this study  
15 will encourage, if this project moves forward, best  
16 management practices to prevent invasives from coming  
17 in.

18 MS. KIDD: Yeah. I can't speak to the dam  
19 site area, because I am not quite sure -- I guess you  
20 are just talking about, as part of this overall  
21 project, you know, activities that have been  
22 conducted there that, you know, is very -- you had a  
23 concern that -- that maybe -- that maybe invasives  
24 might have been brought in as part of the studies?  
25 Or I wasn't really sure what you were asking.

1 MS. LONG: Well, there's been a lot of  
2 transportation back and forth, equipment, you know,  
3 looking at the dam site, you know, drilling and all  
4 that kind of thing. A lot of people back and forth,  
5 probably looking at where they are going to put the  
6 airport and stuff. And, you know, I just wonder  
7 if -- if anything had a chance to get established, if  
8 that would be looked at.

9 MS. KIDD: Oh, I see.

10 Okay. Well, yeah, it would certainly be  
11 something that we should make note of, if that seems  
12 like there are certain areas beyond camps and things  
13 that have already -- that we -- already are on our  
14 radar for being sort of potential vectors, you know,  
15 for invasive plants.

16 And certainly one of the reasons why the  
17 study is being -- was being conducted is to guide  
18 development efforts going forward. Yes, that best  
19 management practice can be developed to prevent  
20 invasives, yeah, from entering the project area as  
21 part of construction. So that certainly is one of  
22 the goals of the project.

23 MS. MCGREGOR: Did that answer your  
24 question, Becky?

25 MS. LONG: Yes, it did. Thank you very



1 much.

2 MS. WOLFF: This is Whitney Wolff. I just  
3 want to make sure I understood the answer to Becky's  
4 question.

5 So it sounds like in your next year of  
6 studies you would be looking at areas such as  
7 heli-landing sites or drill rig sites right at the --  
8 the sites that are known study-area-use locations.  
9 Is that on the radar?

10 I would just say, as a person who is --  
11 works at the airport, we have got a huge hawkweed  
12 problem. And that's definitely a known risk factor.

13 So I was just curious if you did answer  
14 Becky that the study area, heli-sites, and such  
15 are -- are planning -- that you do plan on including  
16 those in the next year of study.

17 MS. KIDD: Well, I guess I -- you know, I  
18 wasn't really aware of how extensive that disturbance  
19 was, in terms of all these different areas. But I  
20 guess I would -- I will work with AEA to identify  
21 where those -- you know, what extent -- extension  
22 of -- extent of those were -- just services are.

23 You know, one thing we did notice from the  
24 invasive plant survey initially was that substrate  
25 really is important. So just sort of a surface

1 disturbance of the organics, those aren't really  
2 particularly habitats that invasives do like to  
3 colonize. They do like kind of well-drained, you  
4 know, kind of more gravelly substrates. But there  
5 certainly could be heli-landings that are definitely  
6 associated with that.

7           So, you know, not having a list of what  
8 those locations are right now, I don't -- I can't  
9 really say that, yes, we -- we, you know,  
10 incorporated that into our future survey efforts.  
11 But I certainly will make note of that, you know,  
12 that that might be a concern; that if there are --  
13 there have been, you know, heli-pads or more  
14 significant disturbances associated with drilling  
15 activities, that that would be something we probably  
16 should consider.

17           MS. MCGREGOR: I know what you are saying.  
18 And with respect to aquatic invasive species, I know  
19 the fisheries crews would completely disinfect their  
20 gear. They disinfect things going between drainages.

21           I know Alaska changed their laws for wading  
22 boots, so nobody had felt -- you know, bottom-wading  
23 boots anymore. And they would dry out their  
24 equipment, as well.

25           MS. IVES: Oh, that's awesome. I am really

1 glad you mentioned that, Betsy.

2 MR. SCHICK: This is Terry Schick.

3 I think we also indicated that the final  
4 selection of sites to be surveyed for invasives would  
5 be -- you know, there would be a technical working  
6 group that would provide input into that process.  
7 And they have already provided some input, which is  
8 reflected in those potential sites to survey there,  
9 one of those being the Alaska Railroad Corridor.

10 So we would evaluate again some of these  
11 additional sites that are actually in the study area  
12 that potentially could be harboring invasives now.  
13 We'd evaluate that before making a final selection of  
14 survey sites in the next study year.

15 Any other questions?

16 MR. GILBERT: Oh. Yeah. Mike Wood?

17 MR. WOOD: Hi there. My question and  
18 observation is in line with Whitney's, as well.  
19 There's been a huge orange hawkweed explosion at the  
20 airport, and it's been following the tracks for the  
21 last few years. So we are witnessing it further and  
22 further up the Chase Trail. So I would keep an eye  
23 on orange hawkweed. Especially with all the  
24 helicopter traffic in and out of the airport, it's  
25 right in the patch of orange hawkweed.

1                   The other -- the other thing I was asking  
2    about or thinking about is, I know in the Susitna  
3    Valley we are really worried about the aquatic plant  
4    Elodea. And it's been -- creates great habitat for  
5    northern pike, which is another invasive species.  
6    And I think it's important to be sure that that  
7    certainly doesn't spread. It's creating a huge  
8    problem down lower in the Susitna, and we are trying  
9    hard right now to eradicate it.

10                   And so it may not only be felt waders, but  
11    it may be boats that are being transported into the  
12    Upper River for -- that came from the Kenai or  
13    another outside source that are being put in the  
14    Susitna River to do studies and transport. It's  
15    float plane landings, also, and -- as well as just  
16    equipment.

17                   So we definitely do not want to, you know,  
18    encourage pike habitat, even if that's what we might  
19    potentially be doing. We don't want the Elodea  
20    there.

21                   Thank you.

22                   MS. KIDD: I know. I appreciate that  
23    feedback. I mean, certainly here in the Fairbanks  
24    area, you know, which is quite a bit farther -- you  
25    know, is not a place you necessarily would think

1 something like a -- you know, that an aquarium plant  
2 could take root, but it's very much taking hold in  
3 our sloughs here in Fairbanks. And so there is a  
4 really strong concerted effort to remove it. So I  
5 appreciate that concern, and we would definitely want  
6 to -- got to make sure that that's -- doesn't make  
7 its way into the project area.

8 MR. GILBERT: Okay. Good discussion.

9 Any -- anything else for Janet or Terry or  
10 Sue?

11 MS. LONG: This is Becky Long again.

12 Although I do want to say that orange hawkweed, it --  
13 I mean, I have been watching it near the area where I  
14 exist and live, not out in the Bush, but in town, and  
15 it really does like well-drained sunny soil. So it's  
16 not like somebody taking off from the Talkeetna  
17 Airport with a orange hawkweed on its whatever and it  
18 drops in the woods, that it's going to create a  
19 problem. But it -- you know, landing at disturbed  
20 areas, et cetera, is where it gets a start.

21 MR. GILBERT: Good.

22 MR. SCHICK: Yeah, that's a good point. I  
23 think best management practices will be critically  
24 important in the construction phase when those sorts  
25 of habitats become developed, when clearing happens

1 or construction, for example.

2 MS. KIDD: Yeah. When you develop an area  
3 and then you open it up to the sun, that's really  
4 when you find it. It gets established. And, I mean,  
5 I am anti-herbicide use. But even herbicides,  
6 I don't think, really can solve the problem of  
7 hawkweed. It's a very tenacious plant.

8 MR. SCHICK: Well, good. Thanks for those  
9 comments.

10 MR. GILBERT: Yeah. Good comments.

11 Okay. Well, then, I think we have  
12 concluded today.

13 MS. LONG: Okay. Before you conclude --

14 MR. GILBERT: Sure.

15 MS. LONG: -- I have a quick follow-up,  
16 just -- not about (indiscernible - telephonic speech)  
17 11.8 or 9, but a quick follow-up to where Betsy sent  
18 me prior (indiscernible - telephonic speech),  
19 regarding 11.5 and 11.7.

20 MR. GILBERT: Okay. Sure.

21 MS. LONG: I want to thank her for  
22 directing me to that 7.1.2. I found that. And just  
23 while I was in -- I noticed under 7.2 schedule for  
24 both 11.5 and 11.7, there was a reference in there to  
25 the Denali East Corridor having imagery graphs. It

1 said it was going to be addressed in 2014, and I had  
2 (indiscernible - telephonic speech) and I didn't see  
3 any. So I don't know if you guys have follow-up on  
4 that imagery graph of those two studies listed under  
5 7.2 schedule, both 11.5 and 11.7.

6 MS. MCGREGOR: Yes, we did.

7 MS. LONG: It would have been regarding the  
8 Denali East Corridor.

9 MS. MCGREGOR: We did. We gathered that  
aerial  
10 imagery, and these guys are using it in 11.5 and  
11 11.7. And I believe the recreation folks were using  
12 it, as well, to map trails. And the engineers will  
13 be using it also.

14 MS. LONG: Okay. Thank you.

15 MS. MCGREGOR: You are welcome.

16 MR. GILBERT: Good. Thanks.

17 Any other comments for the day?

18 Okay. Wow, good.

19 Well, again, for those interested, tomorrow  
20 we start again at 8:30 here.

21 Anything else?

22 Betsy?

23 MS. MCGREGOR: No, I just wanted to thank  
24 everybody for their participation. I think it was a  
25 good meeting. I think our -- our wildlife and

1 botanists are -- you know, have been doing excellent  
2 work, which I think you could tell from the studies  
3 and what they have presented.

4 MR. GILBERT: Yeah. Excellent  
5 presentations, for sure.

6 Anybody else?

7 MS. LINGENFELTER: So this is Heide from  
8 Ahtna. And I was wondering if an agenda for  
9 tomorrow's meetings is available yet.

10 MR. GILBERT: Yes. The agenda has been  
11 posted. It's on the website. And the presentations  
12 are all there, too, now.

13 MS. LINGENFELTER: Thank you.

14 MS. WOLFF: a different form, Heide. I had  
15 trouble finding it, too. This is Whitney. It's not  
16 listed like the earlier studies were. It's just  
17 grouped (indiscernible - telephonic speech) with the  
18 presentations.

19 MR. GILBERT: It should be the top of the  
20 Listings for the day-- and the presentations follow.

21 UNIDENTIFIED SPEAKER: (Indiscernible -  
22 lowered voice).

23 MR. GILBERT: Yup. It's there.

24 MS. LINGENFELTER: Thanks, Kirby.

25 MR. GILBERT: Okay. It's all on one page



1 for tomorrow, but there is a lot to cover. So we  
2 will start at 8:30 and -- and have at it for  
3 everybody, so --

4 All right. Well, thank you very much. 53:24:41

6 (Off record)

7 SESSION RECESSED

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

